

**IN THE MATTER OF SERVICES NO. K4450 22 1028**  
**FOR THE MARATHON PALLADIUM PROJECT**

**TRANSCRIPT OF PROCEEDINGS**  
held virtually at Toronto  
on Monday, March 28, 2022, at 9:00 a.m.

VOLUME 10  
REVISED TRANSCRIPT

**BEFORE:** Debra Sikora, Panel Chair  
Gay Drescher, Panel Member  
Laurie Bruce, Panel Member

**Arbitration Place © 2022**

**100 Queen Street, Suite 940**  
**Ottawa, Ontario K1P 1J9**  
**(613) 564-2727**

**333 Bay Street, Suite 900**  
**Toronto, Ontario M5H 2R2**  
**(416) 861-8720**

**APPEARANCES:**

Drew Anwyll	On behalf of GenPGM
Meghan Rourke	
Jeremy Dart	
Cathryn Moffett	
Hilary Janes	
Brian Fraser	EcoMetrix
Dr. Ron Nicholson	
Dr. Rob Foster	Northern Bioscience
Don Hart	
Jon Pounder	
Suraj Dave	On behalf of Pays
Raymond Belmar	Plat First Nation
Deb King	
Tracy Zanini	On behalf of Biigtigong Nishnaabeg
Jody Duncan	
Gregory Crooks	On behalf of Stantec
Frank Babic	
Sean Capstick	On behalf of Golders
Robert Clavering	On behalf of Environment
Allison Kroeze	and Climate Change Canada
Matthew LeBlanc	
Rich Russell	
Lynn McCarty	On behalf of Michipicoten
Dean Fitzgerald	First Nation
Kitty Ma	On behalf of Health Canada
Frédéric Valcin	
Dr. Stephen Keith	
Dr. David Michaud	
Guowang Qiu	On behalf of Ministry of Environment, Conservation and Parks

**Also Present:**

Chief Duncan Michano  
Mayor Rick Dumas

Gavin Fitch

Legal counsel to the Panel

Jason Patchell  
Robert Purdon  
Youssef Kalogo  
Élyse Maisonneuve-Campbell  
Kierney Leach  
Dominic McRae  
Isabelle Turcotte  
Carys Burgess  
Tracy Utting  
Audrey Rooney  
Sophie Regimbald  
Jillian Smith

Panel manager  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat  
Panel secretariat

Sandra Brereton

Court reporter

**INDEX**

	<b>PAGE</b>
PRESENTATION BY GREG CROOKS:.....	1544
PRESENTATION BY SEAN CAPSTICK:.....	1552
PRESENTATION BY FRANK BABIC:.....	1560
PRESENTATION BY KITTY MA:.....	1567
PRESENTATION BY GUOWANG QIU:.....	1584
QUESTIONS SESSION:.....	1609
UNDERTAKING 22:.....	1628
UNDERTAKING 23:.....	1639
UNDERTAKING 24:.....	1644
PRESENTATION BY FRANK BOHLKEN:.....	1714
PRESENTATION BY HILARY JANES:.....	1723
PRESENTATION BY CHRISTINE WALSH:.....	1730
PRESENTATION BY COLIN VARLEY:.....	1736

1 Virtual proceedings  
2 --- Upon resuming on Monday, March 28, 2022,  
3 at 9:00 a.m.

4 PANEL CHAIR: Thank you. Good  
5 morning, everyone, and welcome to day 10 of  
6 the public hearings for the Marathon Palladium  
7 Project.

8 My name is Debra Sikora, and  
9 I'm the chair of the joint review panel. My  
10 colleagues on the panel are Gay Drescher on my  
11 left, Laurie Bruce on my right. For the next  
12 two days we plan on covering topics related to  
13 the human environment. I won't repeat my full  
14 opening remarks from day 1 of the hearings as  
15 they can be found in the transcripts and on  
16 YouTube. But I will cover some housekeeping  
17 items as we begin this week.

18 Just a reminder that live  
19 audio and video streams and recordings of this  
20 hearing are available to the public through  
21 YouTube. Anyone in the virtual hearing room  
22 with their camera or microphone turned on will  
23 be captured, and images and recordings of you  
24 and your surroundings will be broadcast to a  
25 publicly available YouTube video. If you have

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 any concerns about this, please contact the  
2 secretariat and we'll do our best to  
3 accommodate while considering the need to  
4 conduct an open and transparent public  
5 process.

6                   The secretariat has been  
7 assisting with logistical and process-related  
8 questions throughout this hearing, and they  
9 will continue to do so. They can be reached by  
10 writing to the project e-mail address found on  
11 the public registry.

12                   In the event of an emergency  
13 where you are please always consider your  
14 safety first and exit your location if needed.  
15 When it's safe to do so, please let us know  
16 how we may assist, and we'll find time to  
17 reschedule your presentation if needed.

18                   For today we do plan on  
19 taking a 15-minute break mid-morning and  
20 mid-afternoon with a one-hour break for lunch.

21                   While there was an updated  
22 hearing schedule posted, I'll just do a quick  
23 review so we'll clear -- we're all clear how  
24 the day is currently structured. We'll first  
25 hear from Generation PGM followed by Health

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Canada and the Ontario Ministry of the  
2 Environment, Conservation and Parks. We'll  
3 then proceed with the first segment of  
4 questions for these presenters related to air  
5 quality, greenhouse gas emissions and noise.

6                               For the second segment of the  
7 day we will hear presentations from Generation  
8 PGM, the Ontario Ministry of Heritage, Sport,  
9 Tourism and Culture Industries and the Town of  
10 Marathon. Following these presenters we'll  
11 proceed with questions related to  
12 socioeconomic effects and land and resource  
13 use.

14                              We will continue to provide  
15 an opportunity for Generation PGM to respond  
16 to any of the information presented for each  
17 topic session with remarks for the human  
18 environment currently scheduled for tomorrow.

19                              So before we begin with our  
20 presentations for today, are there any  
21 questions or procedural matters that  
22 participants would like to raise.

23                              Okay. Well, thank you again  
24 for joining today, and I will turn it over to  
25 Generation PGM who is our first presenter for

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the day. Mr. Anwyll, good morning.

2 MR. ANWYLL: Good morning  
3 everyone. I hope everybody enjoyed their  
4 long-ish weekend.

5 Can I get the AV tech to pull  
6 up the presentation, please. Thank you very  
7 much. Next slide, please.

8 So today we'll be presenting  
9 air quality, greenhouse gas emissions and our  
10 noise segment as was introduced earlier. Next  
11 slide, please. And we can go through most of  
12 this presentation. So next slide, please.

13 I'll introduce the presenters  
14 today. Again, myself being Drew Anwyll with  
15 Jeremy Dart, Cathryn Moffett and Tabatha  
16 LeBlanc. All from Generation PGM. And our  
17 technical witnesses we'll have today as usual  
18 is Mr. Brian Fraser, and I've got a few other  
19 folks that we wouldn't have met so far. That  
20 will be Gregory Crooks from Stantec doing air  
21 quality. Sean Capstick from Golders doing  
22 climate change and greenhouse gas, and Frank  
23 Babic from Stantec as well.

24 Next slide, please. And we  
25 can continue through these to the start of

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 air. Next slide. Next slide, please. And next  
2 slide, please. And next slide. One more. We'll  
3 be getting to the end of this soon. Next one.  
4 There we go. I'll hand over to our next  
5 presenter. Thank you very much.

6 PRESENTATION BY GREG CROOKS:

7 MR. CROOKS: Okay. Thank you,  
8 Madam Chair. Greg Crooks for the record. I'm  
9 going to be giving a brief overview of the air  
10 quality assessments that was done for the  
11 project.

12 The assessment approach that  
13 we took was to first look at traditional  
14 knowledge and incorporate it into the  
15 assessment wherever available. In the case of  
16 Generation PGM this included looking at  
17 locations of traditional land use and resource  
18 use and assessing their quality effects at  
19 those locations.

20 We would next go ahead and  
21 define the air quality study areas that we  
22 would be examining. And for that we would look  
23 at a local study area which would be the  
24 region in which air quality would be expected  
25 to be affected by project, and a regional

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 study area which would be looked at in terms  
2 of the potential for the project to interact  
3 with other existing or planned projects in the  
4 region.

5 We then established baseline  
6 or existing air quality conditions, so looking  
7 at would currently -- the air quality levels  
8 currently would be in the local study area.

9 We then moved ahead to  
10 develop an emissions inventory of sources and  
11 based on those sources determined a list of  
12 contaminants of potential concern to evaluate  
13 in the air quality assessment. These included  
14 contaminants such as particulates, nitrogen  
15 dioxide, metals and so on. We then used  
16 computer-based dispersion models to predict  
17 ambient air quality due to the project  
18 emissions.

19 And the methodology that we  
20 used for doing emissions inventory can also --  
21 the dispersion modelling that was conducted  
22 all followed guidelines that are set out by  
23 the Ministry of Environment, Conservation and  
24 Parks, MECP.

25 We then used the model

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 predictions and the baseline levels of each  
2 COPC to assess the cumulative effects on  
3 ambient air quality. So in effect what we do  
4 is we take the predictions air quality effects  
5 due to the project and add them on to the  
6 baseline or existing air quality to look at  
7 cumulatively what would be occurring in the  
8 local study area. And then based on those  
9 model predictions we would assess the  
10 significance of those.

11 Next slide, please.

12 And these are the two study  
13 areas that we looked at. So we defined a local  
14 study area which was a region which extends  
15 about 10 kilometres around the site study area  
16 boundary, and that's shown in the larger  
17 picture on the left. And then we also chose  
18 the regional study area which is an area that  
19 extends 50 kilometres around the site study  
20 area, and that's shown on the inset picture on  
21 the bottom right of this figure.

22 Next slide.

23 When we did the air quality  
24 assessment, we looked at a number of locations  
25 of specific interest which we refer to as

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 special receptors, and for this study we  
2 identified 97 special receptors. And these  
3 receptors are location of particular interest  
4 such as residences, hospitals, schools, areas  
5 of traditional land use, as well as locations  
6 that are identified by the terrestrial and  
7 human health team as being of interest for  
8 their studies as well.

9                               In addition to the 97 special  
10 receptors in order to define impacts of the  
11 project over the local study area we used a  
12 gridded set of receptors that had over a  
13 11,000 receptors in it to define the air  
14 quality in the local study area.

15                               Next slide.

16                               For the baseline air quality  
17 we updated the assessment that was done in  
18 2012 to utilize the most recent monitoring  
19 data available. The project is located on a  
20 remote area of northern Ontario. Air quality  
21 is primarily influenced by traffic on Highway  
22 17, and we would expect background levels to  
23 be low relative to other areas.

24                               The available monitoring data  
25 in northern Ontario is national air pollution

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 surveillance stations or the NAPS stations,  
2 and those are typically located in larger  
3 urban residential, commercial or industrial  
4 areas, and these locations are expected to  
5 have a higher background concentration  
6 relative to local study area. So the use of  
7 this data in defining the background air  
8 quality level for the local study area is  
9 expected to be conservative. So this approach  
10 limits the contribution the project makes to  
11 air quality and can result in the  
12 recommendation where stringent mitigation  
13 measures to limit project emissions than would  
14 otherwise be required if lower baseline air  
15 quality data -- if it were available and could  
16 be used.

17 Next slide.

18 The results of studies were  
19 that 77 of the 83 contaminants of potential  
20 concern that were identified for the project  
21 and that were assessed for project  
22 construction and operations are predicted to  
23 result in an increase above baseline  
24 conditions but remain below relevant air  
25 quality criteria.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   Now, there were exceedances  
2 predicted of benzene and benzo(a)pyrene, but  
3 these exceedances are primarily due to  
4 background levels which are conservative as  
5 well as existing traffic on the local roads  
6 with the project only contributing a small  
7 amount predicted to the predicted exceedances.

8                   There were also exceedances  
9 predicted of crystalline silica, dustfallen  
10 nickel, but they were infrequent or limited in  
11 spatial extent. And with additional migration  
12 measures applied it is expected that  
13 concentrations of these COPCs can be reduced  
14 to the below criteria.

15                   There were exceedances  
16 predicted of the Ontario NO2 criteria, but  
17 they were infrequent, limited in spatial  
18 extent. Exceedances of the federal NO2  
19 Canadian Ambient Air Quality Standards which  
20 is referred to as the CAAQS in the industry  
21 were also predicted and -- but limited in  
22 spatial extent as well.

23                   Now, the NO2 predictions in  
24 particular are expected to be conservative as  
25 they have done several conservative

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 assumptions inherent in the emissions  
2 estimation methodology and so were expected to  
3 overestimate potential changes in air quality.

4 Next slide.

5 During detailed design the  
6 migration measures will be incorporated to  
7 address predicted COPC exceedances ensure the  
8 product applies with applicable provincial and  
9 federal regulatory requirements.

10 Now, PGM's actions with  
11 respect to NO2 measures will be dependent on  
12 how the CAAQS criteria are applied by the  
13 government of Ontario. The NO2 CAAQS came into  
14 effect in 2020, but they actually haven't been  
15 adopted by Ontario as a standard or criteria,  
16 and therefore there's some uncertainty in  
17 terms of how they will be applied in the  
18 future by the province.

19 But in the interim Generation  
20 PGM is going to be implementing several  
21 migration measures to reduce NO2 emissions and  
22 these include using only on-site equipment  
23 that meets tier 4 emission standards, and this  
24 is an emission standard which is the most  
25 stringent currently available for mobile

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 equipment, also to implement effective and  
2 timely vehicle maintenance to maintain the  
3 mining equipment in good working condition and  
4 apply no idle -- no idling policy to reduce  
5 emission of the mobile equipment and other  
6 vehicles during their use.

7                                 So the overall conclusions of  
8 the air quality study was that with mitigation  
9 and environmental protection measures  
10 implemented the project is not predicted to  
11 result in any significant adverse  
12 environmental effects or significant adverse  
13 cumulative effects.

14                                 Next slide.

15                                 As follow-up Generation has  
16 committed to developing an air quality  
17 monitoring program during construction and  
18 operations that will measure ambient levels of  
19 particulates, criteria air contaminants,  
20 dustfall, operations haul road silt content,  
21 and other parameters of potential concern, and  
22 the results of the monitoring will inform  
23 adaptive management measures.

24                                 Depending on if -- how the  
25 NO2 CAAQS were applied by Ontario the need for

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 NO2 monitoring to evaluate actual levels  
2 relative to the CAAQS will also be assessed.  
3 Now, the ambient monitoring program will be  
4 developed in consultation with applicable  
5 regulatory agencies, communities, including  
6 Indigenous communities and stakeholders. And  
7 during this consultation and development  
8 process the final list of contaminants to be  
9 monitored, you know, will be discussed and  
10 finalized at that time.

11 Thank you. Next slide,  
12 please, and I'll now turn the presentation  
13 over to Sean Capstick.

14 PRESENTATION BY SEAN CAPSTICK:

15 MR. CAPSTICK: Thanks, Greg.  
16 So thank you, Chair Sikora. Sean Capstick for  
17 the record.

18 I would like to talk about  
19 greenhouse gas emissions or GHGs, specifically  
20 the effect of the project on natural  
21 environment, the emission of the greenhouse  
22 gas emissions and how it could affect radiated  
23 forcing, and the impact of the project on  
24 Canada's ability to meet our ambitious net  
25 zero goals. But first, let me start with some

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 definitions.

2                               Could I have the next slide,  
3 please.

4                               So greenhouse gas accounting  
5 has been developed over practice, and it's  
6 divided into three classes of greenhouse gas  
7 emissions or referred to as scopes.

8                               There's scope 1 emissions  
9 which are direct emissions from a project,  
10 these include stationary combustion, energy  
11 use to the facility, mobile combustion at the  
12 project. Scope 2 emissions which are indirect  
13 emissions typically associated with  
14 electricity or with the purchase of heat,  
15 those are necessary for the project operate,  
16 electricity being the prime example and then  
17 everything else. This other class of  
18 emissions, the scope 3 emissions are not  
19 directly emitted by the project but can be  
20 influenced by the project. There are upstream  
21 activities that the project could influence,  
22 and then downstream emissions that also can be  
23 influenced by the project.

24                               I'll come back to these types  
25 of definitions in the past, but I will draw

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 your attention to the one class that has been  
2 developed by the greenhouse gas protocol.  
3 That's the use of the sold products because  
4 we'll come back to that in terms of the --  
5 qualitatively looking at the assessment of the  
6 project.

7                                   And then there are a number  
8 of greenhouse gases. They are typically  
9 referred to as CO2 equivalents, so CO2 being  
10 the most prominent greenhouse gas, but there  
11 are other compounds that also would cause this  
12 radiated forcing dealing with product  
13 combustion or refrigerants or other compounds.  
14 So if we can go to the next slide, let me talk  
15 about the approach that we followed when we  
16 were looking at greenhouse gas emissions.

17                                   So the first thing was to  
18 develop a emissions inventor based on the  
19 expected operations. And this evolved as the  
20 project was further defined, and there were a  
21 number of inventories developed over time to  
22 estimate the greenhouse gas emission during  
23 construction, operations and closure.

24                                   This -- in my opinion this is  
25 a typical approach and typically overestimates

1 the emissions from a project because it's  
2 based on a maximum production capacity and  
3 unitization of the haul trucks which are the  
4 greatest source of greenhouse gas emissions,  
5 and when companies are in operations those  
6 efficiencies are not typically maintained year  
7 over year. There was a significance  
8 assessment, and this was primarily based on  
9 magnitude; the total amount of greenhouse gas  
10 emissions compared to Canada and Ontario's  
11 emissions.

12                                   An emission reduction plan  
13 was developed and that was part of the ongoing  
14 operations. This ties into the environmental  
15 monitoring plan that is part of the EIS and  
16 part of the project. And then I would like to  
17 come back to the scope 3 emissions that I  
18 introduced before.

19                                   So let's talk more about the  
20 effects. We can go to the next slide.

21                                   So the inventory of  
22 greenhouse gas emissions primarily were from  
23 combustion and primarily from the mobile  
24 equipment at the site. So this is the trucks  
25 used to extract, haul the ore to the

1 processing facilitate. The other -- these are  
2 primarily greenhouse -- it's primarily CO2  
3 with some nitrous oxide and some natural gas,  
4 CH4. The other greenhouse gases are not  
5 expected to be emitted in significant  
6 quantities from the project.

7                                 In comparison to the project  
8 Canada's greenhouse gas emissions are  
9 approximately 730 megatons per year, and  
10 Ontario's is approximately 160 megatons for  
11 year. So in terms of magnitude comparison the  
12 emissions from the project are small compared  
13 to the overall -- Canada's overall and  
14 Ontario's overall impacts, and the updates  
15 through the most recent greenhouse gas  
16 inventory, IR 6.4 does not change that  
17 assessment.

18                                 There are a number of  
19 greenhouse gas mitigation options that are  
20 proposed for the project. The mine efficiency  
21 measures that Mr. Anwyll described as part of  
22 the overall project overview and some of the  
23 air quality mitigation measures described by  
24 Mr. Crooks will also reduce the greenhouse gas  
25 emissions in addition to the greenhouse gas

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 specific measures outlined in EIS which again  
2 are primarily around efficiency around the  
3 mobile fleet and minimizing energy use by that  
4 fleet.

5                                   There is another important  
6 reinforcing measure to maintain that energy  
7 efficiency and that is the federal and  
8 provincial greenhouse gas reporting programs.  
9 The site will be required to report to both of  
10 those programs. It's over the threshold for  
11 reporting, so there will be regular annual  
12 emission inventories that have to be prepared  
13 based on the actual emissions. They will be  
14 third party verified as part of the reporting  
15 programs, and the site will be subject to a  
16 price on carbon.

17                                   Currently in Ontario under  
18 the Pan-Canadian framework for greenhouse gas  
19 reduction, Ontario has an emissions  
20 performance standards program or EPS program  
21 that puts a price on carbon based on how  
22 efficient the operations are in terms of an  
23 emission intensity. That emission intensity is  
24 based on piers that was calculated by the  
25 federal and the provincial governments and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 that price -- the ultimate amount of money  
2 that the operations will have to pay each year  
3 will be dependent on how well they meet that  
4 emission performance standard, and whether  
5 they are above or below.

6 So finally let's return to  
7 the scope 3 emissions. If we can go to the  
8 next slide.

9 So as we've heard through --  
10 in the introductions the project will provide  
11 critical minerals that are necessary for the  
12 transition to a low carbon economy and allow  
13 Canada to meet our nationally determined  
14 contributions. That nationally determined  
15 contribution is the amount -- the reduction  
16 that Canada has put in place in terms of the  
17 Paris Accord and the commitment to below 2  
18 degrees change or 1.5 degree change and will  
19 reduce the global emissions.

20 So it's looking at that -- if  
21 you recall the definitions, it's the use of  
22 the sold products. So by copper being used in  
23 electrification by palladium and metals group  
24 used in batteries, that will help that  
25 transition to a low carbon economy and can

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 help not just Canada but the globe. And  
2 greenhouse gas emissions are a global issue.  
3 It doesn't matter. Climate change is not  
4 affected in Canada by Canadian operations.  
5 It's a global emission, so by producing these  
6 minerals it will help reduce.

7                   The other scope emissions are  
8 controlled. They are not reported by the  
9 project, but they are controlled by the  
10 Pan-Canadian Framework on Clean Growth, and  
11 that price on carbon will influence other  
12 scope 3 emissions like transportation and the  
13 materials that are upstream of the process.

14                   And then finally Generation  
15 PGM did conduct an independent benchmarking of  
16 their operations. This was done by a third  
17 party consultant that provides this  
18 benchmarking internationally to look at all  
19 copper producers globally, and the results of  
20 this assessment show that that carbon  
21 intensity -- different calculation to what --  
22 the EPS, but carbon intensity calculation that  
23 includes some of those scope 3 emissions are  
24 low in the top quartile compared to their  
25 international peers.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                                   And with that I'll turn it  
2 over to Mr. Babic to talk about noise, thank  
3 you.

4 PRESENTATION BY FRANK BABIC:

5                                   MR. BABIC: Thank you very  
6 much, and good morning, Madam Chair and panel.  
7 My name is Frank Babic for the record. I'll be  
8 discussing the noise impacts for the project.

9                                   Next slide. And next slide.

10                                  So to begin we'll look at the  
11 local and regional study areas that were  
12 considered for noise. We looked at the two  
13 main areas, that being the project area as  
14 well as the Town of Marathon. We also looked  
15 at the connecting highway between the two as  
16 there are haul traffic between the main  
17 project area to the haul -- to the rail  
18 loadout facility. We looked at a 1 kilometre  
19 local study area in a 5 kilometre regional  
20 study area with respect to noise.

21                                  Next slide.

22                                  So to begin we looked at the  
23 -- what we call the sensitive receptors, the  
24 points of impact for noise. We begin with the  
25 traditional considerations of residences,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 campgrounds, daycares, schools, places of  
2 worship and hospitals. These are identified on  
3 the map here within the local study area. In  
4 addition with respect to IR responses we also  
5 looked at representative Indigenous  
6 traditional uses. We looked at two of the  
7 closest ones, specifically the Bamooos Lake and  
8 Pic River area.

9   Next slide.

10   With respect to the noise  
11 baseline, baseline noise measurements were  
12 conducted in August 2009. Additional  
13 measurements were taken in September 2013 at  
14 four locations considered to be most  
15 representative for the project in coordination  
16 with the Ministry of Environment and  
17 Conservation and Parks.

18   We looked at those 2013  
19 measurements and considered them to be  
20 representative of the existing baseline as of  
21 2021 as there were no changes to the study  
22 area that would have anticipated changes to  
23 baseline.

24   Next slide, please.

25   With respect to noise impacts

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 and limits, we looked at both provincial and  
2 federal guidelines. For the provincial we  
3 looked at the Ministry of Environment,  
4 Conservation and Parks. Their guideline  
5 NPC-300 assesses stationary noise, and we  
6 assessed them to the exclusionary limits, and  
7 these were adopted for both construction and  
8 operational noise at the mine site and the  
9 rail loadout. In addition we also looked at  
10 the rail loadout operations and assessed  
11 impulsive noise, this is known as coupling, in  
12 terms of the number of impulses per hour.

13                               The NPC-300 land-use portion  
14 of the guideline in addition to the MTO  
15 guideline for road traffic was adopted for  
16 haul traffic between the two sites.

17                               We also looked at blasting as  
18 an operational condition and construction  
19 condition and assessed that in accordance with  
20 their NPC-119 guideline for what is called  
21 overpressure and vibration. And with respect  
22 to that all of the provincial noise criteria  
23 have been met for the project without  
24 additional mitigation identified other than  
25 some operational restrictions.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Next slide, please.

2 We looked at the federal  
3 guidance, specifically the Health Canada noise  
4 guidance. This has two criteria or two areas  
5 it looks at, the first one being community and  
6 noise. The Health Canada guidance uses a  
7 percent highly annoyed, called percent HA  
8 criteria. This is the percentage of the  
9 community that would be highly annoyed by  
10 noise. Health Canada recommends that this not  
11 exceed a change of more than 6.5 percent over  
12 the existing background. We did this analysis  
13 for construction, facility operations,  
14 including the mine and rail loadout and noted  
15 they are all below the 6.5 percent change with  
16 most impacts below 2 percent. This included  
17 for adjustments -- for sources, including  
18 tonal and impulsive characteristics. Therefore  
19 on this basis we suspected no significant  
20 impacts to community annoyance.

21 In addition, sleep  
22 disturbance is identified within the Health  
23 Canada federal guideline. The Health Canada  
24 sleep disturbance guidance is that noise --  
25 nighttime noise impacts are not to exceed a

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 maximum of 60 decibels outside the building.  
2 This analysis was conducted for the  
3 construction and facility operations noted to  
4 be below the 60 guideline. We note that the  
5 rail loadout, it does not operate at night, so  
6 therefore it did not include a sleep  
7 disturbance criteria. However on this basis no  
8 impacts to sleep disturbance are expected.

9 Next slide.

10 Now, specifically with  
11 respect to construction noise at the mine site  
12 we were looking at sources such as excavators,  
13 dozers, loaders, drills. Construction noise  
14 impact at the site was modelled with computer  
15 modelling to determine the noise impact at the  
16 nearest sensitive receptors, and we also  
17 produced noise contours to assess the general  
18 impact.

19 Our assessment noted some  
20 restrictions that were confirmed with  
21 Generation PGM on construction. For example,  
22 that grading compacting would be done between  
23 daytime hours are not -- are excluded from  
24 11:00 p.m. to 7:00 a.m., and these are  
25 identified in the assessment. The noise

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 modelling of the construction impacts with  
2 these restrictions show compliance with the  
3 MECP and Health Canada guidelines.

4                                   Next slide, please.

5                                   The operational notice impact  
6 mine site also considered. Again this has a  
7 number of sources that we looked like  
8 crushers, conveyors, exhaust fans, dust  
9 collectors. We also looked at the year 2  
10 operations as this was considered a worse-case  
11 impact given that it would -- the open pit  
12 extraction volumes would be at or near  
13 capacity. The south pit which is closest to  
14 the receptors would be extracted near the  
15 surface, and the PSMF construction and  
16 earthwork location is closest to the sensitive  
17 receptors. Again, those restrictions were  
18 considered as noted previously, and the noise  
19 guidelines show compliance.

20                                   Next slide.

21                                   We also looked at the  
22 operational impact of the rail loadout  
23 facility. We note that this would operate  
24 between the daytime hours 7:00 a.m. to 11:00  
25 p.m., and we note that of impact sources that,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 although it's noted average, it should be  
2 stated that we assessed it on a basis of a  
3 maximum three rail couples per hour. Where  
4 typically we might expect one or two we  
5 assessed it up to three. And on that basis we  
6 noted that rail loadout facility for both  
7 steady-state and impulsive noises is compliant  
8 with the applicable guidelines.

9 Next slide, please.

10 Now, with respect to blasting  
11 we looked at both construction blasting and  
12 operational blasting. We looked at the  
13 construction blasting for short term in very  
14 specific locations required for construction  
15 purposes; whereas operational blasting would  
16 be ongoing within the open mine area. We  
17 identified setback distances for both of these  
18 blasting conditions, and the blasting impacts  
19 for both construction operations are expected  
20 to be below the applicable criteria; although  
21 blast monitoring was identified for  
22 construction and near surface operations.

23 Next slide.

24 And that concludes the noise  
25 discussion, and I'll turn it over. Thank you

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 very much.

2 MR. ANWYLL: Thank you. Sorry  
3 about that. IT problems on my side.

4 So as you see we've done an  
5 exhaustive and multi-disciplinarian -- no,  
6 multi-disciplinary assessment of the  
7 atmospheric environment, and we believe it was  
8 comprehensive and robust. With the planned  
9 mitigations no significant adverse effects  
10 have been identified during the different  
11 phases of the mine life. And follow-up  
12 monitoring will continue with the operation  
13 and will certainly include adaptive management  
14 for these three key areas.

15 Thank you very much.

16 PANEL CHAIR: Thank you very  
17 much Mr. Anwyll and to your presenters, Mr.  
18 Babic, Mr. Capstick and Mr. Crooks. Appreciate  
19 the presentation and information this morning.

20 I will next turn it over to  
21 presenters from Health Canada. Do we have  
22 Health Canada on the line?

23 PRESENTATION BY KITTY MA:

24 MS. MA: Good morning, Madam  
25 Chair.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   PANEL CHAIR: Good morning. We  
2 can put up a presentation for you, and you can  
3 let us know when to advance your slides, and  
4 I'll turn it over to you.

5                   MS. MA: That's great. Thank  
6 you. Good morning, Madam Chair, members of the  
7 panel, members in-chief, Indigenous members  
8 and all other hearing participants. Thank you  
9 for the opportunity to present Health Canada's  
10 review and recommendations on the  
11 environmental assessment for the proposed  
12 Marathon Palladium Project.

13                   My name is Kitty Ma, and I'm  
14 the regional manager for Health Canada's  
15 environmental health program in Ontario.

16                   I'd like to begin with a land  
17 acknowledgement. I acknowledge that we're all  
18 on the land that was and is the traditional  
19 territory of many of diverse Indigenous  
20 people, including First Nations, Inuit and  
21 Métis. I'm joining you today from Toronto,  
22 Ontario, which is the traditional territory of  
23 many nations, including the Mississauga of the  
24 Credit, the Anishnabeg, the Chippawa, the  
25 Haudenosaunee and the Wendat peoples are now

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 home to many diverse First Nation, Inuit and  
2 Métis.

3 I also acknowledge that  
4 Treaty 13 with the Mississauga of the Credit  
5 covers Toronto. I am mindful of and respect  
6 the important connections with the past,  
7 present and future in our ongoing relationship  
8 with Indigenous people, and I am grateful to  
9 have the opportunity to live and work on this  
10 territory. The proposed project is located  
11 within the unceded and unsurrendered territory  
12 of Biigtigong Nishnaabeg First Nation.

13 I encourage everyone to take  
14 a moment to reflect on the land that they are  
15 on and to be mindful of the opportunity to  
16 foster reconciliation. It is my hope that this  
17 acknowledgement starts us in a good way.

18 And for this virtual hearing  
19 I am responsible for the overall coordination  
20 of Health Canada's expert witnesses and will  
21 be receiving questions from the panel members  
22 on behalf of the team.

23 And now I would like to  
24 introduce my colleagues from Health Canada who  
25 will be joining me today. Dr. Umme Akhar, the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 lead environmental assessment specialist will  
2 speak to the general aspect of Health Canada's  
3 review of the project; Dr. Dae Young Lee  
4 supporting environmental assessment specialist  
5 on this project file; Aurelia Thevenot, acting  
6 senior environmental health assessment  
7 specialist; Frédéric Valcin, scientific  
8 evaluator with Health Canada's water and air  
9 quality bureau, air quality assessment section  
10 will provide expertise on the assessment of  
11 human health risks resulting from exposure to  
12 air contaminants, and Dr. Stephen Keith and  
13 Dr. David Michaud, research scientists with  
14 Health Canada's consumer and clinical  
15 radiation protection bureau will provide  
16 expertise on Health Canada's health effects on  
17 noise.

18 Expert summary of  
19 qualifications and experience have been  
20 provided as part have of Health Canada's  
21 written submission to the panel and Canadian  
22 impact assessment registry number 1077.

23 Next slide, please.

24 To begin here is the outline  
25 of Health Canada's presentation today. This

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 presentation provides a summary of Health  
2 Canada's mandates in environmental assessment,  
3 a brief description of Health Canada's scope  
4 of review and limitations and recommendations  
5 that Health Canada submitted in a final  
6 written submission.

7 Health Canada will be  
8 presenting on the subjects of air quality and  
9 noise health affects today, and Health Canada  
10 will provide a separate presentation to the  
11 panel on water quality, traditional foods and  
12 human health risk assessment on March 29 as  
13 part of the topic-specific section on human  
14 health and human health risk assessment.

15 Next slide, please.

16 Health Canada is  
17 participating as a federal authority in the  
18 review of this project in accordance with  
19 section 20 of the *Canadian Environment*  
20 *Assessment Act* 2012. As a federal authority  
21 Health Canada's role is to provide information  
22 and knowledge from our experts to the panel on  
23 the potential impacts of the project on the  
24 health of Indigenous people under subsection  
25 5(1)(c)(i) of the Act. Health Canada's

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 expertise relates to the potential impacts of  
2 this project resulting from changes to air  
3 quality, noise, water quality, the potential  
4 contamination of traditional foods and the  
5 human health risk assessment.

6 Next slide, please.

7 In general Health Canada  
8 provides comments on the accuracy, scientific  
9 validity and the completeness of conclusion  
10 concerning potential human health effects,  
11 actions that may be taken to reduce potential  
12 health impacts of the project and the  
13 appropriateness of the proposed follow-up  
14 actions and programs to reduce human health  
15 risks. Health Canada promotes a precautionary  
16 approach when assessing risk to human health,  
17 including the design of follow-up monitoring  
18 and adaptive management initiatives.

19 Next slide, please.

20 Health Canada does not make  
21 decisions or issue licences, permits or  
22 authorizations in relation to this project.  
23 Additionally when reviewing environmental  
24 assessment, Health Canada does not evaluate  
25 the proponent's modelling and assumes that

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 correct results have been obtained.

2 Next slide, please.

3 Health Canada has reviewed  
4 the project documentation, including the  
5 environmental impact statement, addendums and  
6 responses to information request that are  
7 relevant to Health Canada's role as federal  
8 authority. Health Canada provided  
9 recommendations for the panel's consideration  
10 in the department's final submission. The  
11 objective of these recommendation is to help  
12 the panel to better understand and to minimize  
13 the potential human health risks associated  
14 with the project.

15 The remainder of Health  
16 Canada's presentation today will focus on key  
17 deficiencies and recommendations included in  
18 Health Canada's written submission on the  
19 following two topics.

20 First is a air quality which  
21 covers the potential contaminants in outdoor  
22 air and potential risk to human health. And  
23 second will be noise which will cover the  
24 description of noise, exposure and health  
25 effects, including impacts on sleep and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 annoyance.

2 Next slide, please.

3 So we will start with the  
4 topic of air quality and health effects. The  
5 air quality assessment for all phases of this  
6 project predicted the release of various  
7 contaminants into the air. Potential sources  
8 from the project that can release these  
9 contaminants include material handling,  
10 drilling, blasting, tailpipes from mobile  
11 equipment, diesel exhaust generators and et  
12 cetera.

13 Next slide, please.

14 Before discussing the  
15 proponent's approach to assessing the  
16 potential of diesel exhaust to cause cancer,  
17 referring to as their carcinogenicity, Health  
18 Canada will provide a brief background on this  
19 contaminant. Diesel exhaust is classified by  
20 the International Agency For Research on  
21 Cancer as carcinogenic, and in other words  
22 cancer causing to humans as well as being  
23 linked to many other health effects such as  
24 are respiratory, cardiovascular and  
25 immunological effects.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Diesel exhaust is made up of  
2 a mixture of contaminants, including diesel  
3 particulate matter to which benzo(a)pyrene  
4 attaches, nitrogen dioxide, benzene,  
5 formaldehyde and 1, 3-Butadiene. Diesel  
6 particulate matter is a non-threshold  
7 contaminant which means that health effect may  
8 occur at any level of exposure. Diesel  
9 particulate matter can also be used to  
10 represent toxicity of the full diesel exhaust  
11 mixture. Some epidemiological studies of  
12 workers exposed to the full mixture are  
13 available.

14 The human health risk  
15 assessment calculated incremental lifetime  
16 cancer risk of benzene and benzo(a)pyrene from  
17 this project. However, the approach used does  
18 not address the potential of the full diesel  
19 exhaust mixture to cause cancer and could lead  
20 to an underestimation of the cancer risk.

21 Next slide, please.

22 Health Canada does not derive  
23 safe exposure limits for diesel exhaust or  
24 diesel particulate matter for cancer risk. So  
25 for assessing the cancer risk for -- from

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 diesel exhaust Health Canada recommends using  
2 the California Environmental Protection Agency  
3 unit risk which is a number estimating the  
4 lifetime cancer risk from exposure to diesel  
5 exhaust. The unit risk uses diesel particulate  
6 matter to represent diesel exhaust, and it is  
7 derived from a combination of multiple results  
8 from different human studies and from analysis  
9 of railroad workers exposed to the full diesel  
10 exhaust mixture.

11 Health Canada noted that a  
12 review of the uncertainties associated with  
13 this approach should be explored. Health  
14 Canada also recommends an alternative  
15 approach consistent of in-depth qualitative  
16 assessment. A qualitative assessment which is  
17 a descriptive estimate of risk should include  
18 a clear and referenced argument to acknowledge  
19 and reflect conclusion of a number of credible  
20 government or scientific organizations on the  
21 cancer risk from exposure to diesel exhaust  
22 and associated uncertainties. In the  
23 assessment neither of the approaches  
24 recommended by Health Canada were used.

25 Next slide, please.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   To better describe the cancer  
2 risk from exposure to diesel exhaust and  
3 inform medication measures, Health Canada is  
4 suggesting the panel to recommend the  
5 proponent to describe the carcinogenicity of  
6 diesel exhaust releases from the project using  
7 one of Health Canada's recommended approach  
8 and use the results from the above assessment  
9 to inform additional mitigations or adaptive  
10 management measures that may have benefits for  
11 reducing diesel exhaust releases from the  
12 project. For example, mitigation measures  
13 aimed at reducing truck or locomotive idling  
14 may result in other benefits, including  
15 reducing releases of diesel exhaust.

16                   Next slide, please.

17                   Aside from the diesel exhaust  
18 issue there is international consensus that  
19 air pollution in general negatively affects  
20 public health. The human health risk  
21 assessment predicted that the project will not  
22 negatively affect human health due to changes  
23 in air quality.

24                   Health Canada's final written  
25 submission expresses concern about the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1   uncertainties around this conclusion. First,  
2   the air quality and a human health risk  
3   assessment were not updated to consider that  
4   the predicted nitrogen dioxide concentration  
5   exceeded or greater than the 2025 Canadian  
6   Ambient Air Quality Standards at both the  
7   project property boundary and some receptors  
8   located within or outside the project property  
9   boundary. Second, the proponent states that  
10   conclusion of the human health risk assessment  
11   would not change the predictions excluded the  
12   management of fugitive dust from mining  
13   activities. However, information was not  
14   provided to support this conclusion.

15                               Next slide, please.

16                               Furthermore, cancer risks for  
17   benzene and benzo(a)pyrene were calculated  
18   only for an outdoor exposure of three hours  
19   per day. Infiltration of these contaminants  
20   indoor was not considered. The levels of  
21   contaminant in outdoor air can affect the  
22   levels of contaminant in indoor air, and this  
23   could lead to this risk being underestimated.

24                               Finally the atmospheric  
25   environmental monitoring program does not

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 specify which contaminants will be monitored  
2 and if ambient air quality will be monitored  
3 at receptor's locations where predicted  
4 concentrations are greater than or nearly  
5 greater than air quality criteria, standards  
6 and our guidance values. For example, it is  
7 unclear whether monitoring will include  
8 benzene and benzo(a)pyrene.

9                                   Health Canada noted that  
10 baseline benzene and benzo(a)pyrene  
11 concentrations are based on urban or  
12 industrial areas such as Thunder Bay and  
13 Winnipeg, and they are greater than Ontario's  
14 ambient air quality criteria. So therefore if  
15 benzene and benzo(a)pyrene are to be  
16 monitored, it is unclear how the monitoring  
17 results will be compared to the predictions.

18                                   Next slide, please.

19                                   Health Canada suggests the  
20 panel recommend the proponent to acknowledge  
21 the limitations and uncertainties associated  
22 with baseline levels and the project's  
23 contribution to air pollution levels and  
24 revise the conclusion on health risks. Develop  
25 an input in place, a comprehensive air quality

1 monitoring program that includes monitoring of  
2 contaminants of potential concerns that are  
3 predicted to be greater than, or  
4 (indiscernible) greater than the air quality  
5 criteria, standards and our guidance values at  
6 locations where populations and individuals  
7 are likely to be exposed to the contaminants  
8 of potential concern. Monitoring should start  
9 prior to construction where uncertainties  
10 remain in the monitoring assumptions, for  
11 example, baseline concentrations of benzene  
12 and benzo(a)pyrene.

13                                   Define action levels at which  
14 additional mitigations and adaptive management  
15 measures should be considered. Example of  
16 action levels include applicable criteria for  
17 the protection of human health or the changes  
18 in contaminant levels relative to baseline  
19 levels where such criteria do not exist. Also  
20 identify potential mitigation measures if  
21 monitoring results show contaminant's levels  
22 greater than the action levels.

23                                   This concludes Health  
24 Canada's presentation on air quality  
25 assessment.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Next slide, please.

2 Now, we will move on to  
3 today's next topic area, noise health effects.

4 Next slide, please.

5 The change in percent highly  
6 annoyed, percent HA, is an indicator of  
7 noise-induced human health effects from  
8 exposure to project-related operational and  
9 long-term construction noise. In the noise  
10 assessment several noise sources and their  
11 adjustment factors were not included in the  
12 percent highly annoyed calculation. For  
13 example, the calculated highly -- percent  
14 highly annoyed did not include backup alarms  
15 and coupling noise and their applicable  
16 adjustment factors. Therefore the assessment  
17 may underestimate the total effects from noise  
18 exposure that sensitive receptors such as  
19 elderly and children may expose (ph).

20 It is also possible that  
21 sleep-related noise complaints will be  
22 received related to rail loadout activities  
23 near the Town of Marathon outside the typical  
24 sleep time period used in the assessment like  
25 from 11 o'clock at night until 7 o'clock in

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the morning and if locomotive idling occurs  
2 overnight.

3 Health Canada acknowledges  
4 that the proponent plans to develop a formal  
5 complaint procedure for public concerns raised  
6 over nuisance noise level; however, not enough  
7 detail is provided as to how complaints will  
8 be received and addressed. It is also unclear  
9 whether the proponent intends to proactively  
10 communicate with the community about noisy  
11 project activities. Please note that Health  
12 Canada does not enforce noise thresholds or  
13 standards but can recommend that mitigation  
14 measures if international noise standard or  
15 thresholds are exceeded.

16 Next slide, please.

17 Health Canada suggests the  
18 panel recommend the proponent to recalculate  
19 the change in the noise indicator to percent  
20 highly annoyed for each phase of the project  
21 at representative sensitive receptors. This  
22 should include all applicable noise sources  
23 and adjustment factors to account for  
24 project-related noises that was not included  
25 in the original assessment, including

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 intermittent sources.

2                                 Then the findings -- use the  
3 finding from the assessment to inform  
4 follow-up monitoring and additional mitigation  
5 measures. This should be applied to all  
6 sensitive receptors locations where combined  
7 noise impact from all project-related  
8 activities exceed noise levels associated with  
9 the 6.5 percent in -- percent highly annoyed.

10                                Provide a more detailed  
11 description of the proposed complaint response  
12 plan, including any plan to consult with  
13 Indigenous groups and community members during  
14 its development. In addition, no the local  
15 community and potentially impacted Indigenous  
16 groups about any potentially noisy activities  
17 before they begin.

18                                Next slide, please.

19                                More information on Health  
20 Canada's submission can be found on the  
21 Canadian Impact Assessment Registry. These  
22 includes the documents listed here, and our  
23 final written submissions can also be found on  
24 the Canadian Impact Assessment Registry  
25 Document 1077.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Next slide, please.

2 This concludes Health  
3 Canada's presentation on air quality and noise  
4 health effects. Thank you once again for the  
5 opportunity present. We will be happy to take  
6 questions now or later, and we would  
7 appreciate a few minutes to caucus before  
8 answering each question. Thank you.

9 PANEL CHAIR: Thank you, Ms.  
10 Ma, for your presentation. Very much  
11 appreciated.

12 We will continue with a  
13 couple more presentations before questioning.  
14 So just so you know how that will unfold.

15 Thank you once again. We'll  
16 now turn to the Ontario Ministry of  
17 Environment, Conservation and Parks for their  
18 first presentation on air quality.

19 PRESENTATION BY GUOWANG QIU:

20 MR. QIU: Good morning, Madam  
21 Chair.

22 PANEL CHAIR: We can put up  
23 your presentation, and you can let us know  
24 when you want the slides advanced.

25 MR. QIU: Okay. Thanks.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PANEL CHAIR: Okay.

2 MR. QIU: Good morning. My  
3 name is Guowang Qiu. I'm an air quality  
4 analyst with the Ministry of Environment,  
5 Conservation and Parks.

6 We acknowledge that we on the  
7 traditional territory of Anishnabeg people,  
8 and I wish to recognize the long history of  
9 First Nations and the Métis peoples in Ontario  
10 and to show respect to them today.

11 Thanks for the opportunity to  
12 give a presentation joint review panel for the  
13 Marathon Palladium Project. The topic of my  
14 presentation is air quality.

15 Next slide, please.

16 My presentation will cover  
17 the following items. MECP's role on the  
18 environmental assessment, technical review and  
19 analysis and MECP's recommendations based on  
20 the review.

21 Next slide, please.

22 MECP has the mandate to  
23 regulate the potential air quality impacts of  
24 the project under the *Environmental Protection*  
25 *Act*, EPA, and the *Environmental Assessment*

---

***Arbitration Place***

***(613) 564-2727***

***(416) 861-8720***

1 *Act, EAA. The purpose of the Environmental*  
2 *Protection Act is to provide for the*  
3 *protection and the conservation of the natural*  
4 *environment, including air. The Environmental*  
5 *Protection Act grants the Ministry broad*  
6 *powers to deal with the discharge of the*  
7 *contaminants causing the worse effects. MECP*  
8 *participated in and undertook a technical*  
9 *review of the potential air quality impacts*  
10 *from the Marathon Palladium Project based on*  
11 *the MECP's mandate.*

12 *Next slide, please.*

13 *Below are the criteria,*  
14 *standards, guidelines and the screen levels*  
15 *developed and the published by the MECP,*  
16 *including Ontario ambient air quality*  
17 *criteria, Ontario regulation 419/05 standards,*  
18 *jurisdictional screening levels and --*  
19 *jurisdictional screening levels and upper risk*  
20 *thresholds. Ontario ambient air criteria are*  
21 *used to assess general ambient air quality*  
22 *results from all source of contaminant to air*  
23 *which are commonly used in the environmental*  
24 *assessment, ambient air quality monitoring in*  
25 *studies, assessment of general air quality in*

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the community and annual recording of air  
2 quality across the province.

3 Regulation 419/05 standards  
4 are used for compliance such as environmental  
5 compliance approvals. Jurisdictional screening  
6 levels may be used for assessing contaminants  
7 with no MECP standards or guidelines in the  
8 context of obtaining a provincial compliance  
9 approval. An upper risk threshold for  
10 contaminants is set by the Ministry  
11 (indiscernible) it is a corresponding air  
12 standard. Upper risk thresholds are used by  
13 the Ministry to manage risks in addition to  
14 the criteria, standards and the guidelines  
15 developed by the MECP as I mentioned before.

16 The Canadian Council of  
17 Ministry of the Environment also develop the  
18 Canadian ambient air quality standard for fine  
19 particulate matter, PM 2.5, (indiscernible),  
20 sulphur dioxide and nitrogen dioxide.

21 Next slide, please.

22 MECP conduct their technical  
23 review of the potential air quality impacts  
24 from the project, including baseline air  
25 quality. Sources of air emissions and the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 emissions estimates impact prediction,  
2 indicating measures and the fall out of air  
3 quality monitoring.

4                               Below is a summary of MECP's  
5 review and analysis. MECP is of the view that  
6 the established background concentrations are  
7 consider to be conservative and they may  
8 overestimate the actual background  
9 concentration for the local study area. The  
10 description of air emission sources and  
11 estimation of emissions of contaminants from  
12 these sources were carried out in accordance  
13 with established industry norms and the  
14 published MECP guidance documents except for  
15 low silt content, 5.8 percent used for the  
16 unpaved roads.

17                               Next slide, please.

18                               MECP approved the air  
19 dispersion model. The AERMOD was used to  
20 predict the potential air quality of the  
21 effects of the project. The proponent provided  
22 conservative worse case scenario air quality  
23 predictions for comparison to applicable  
24 criteria except for particulate matter due to  
25 the omission of fugitive particulate matter

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 emissions from haul roads and stockpiles when  
2 comparing the particulate concentrations with  
3 applicable criteria and low silt content  
4 assumption used in emission calculations  
5 without site-specific silt content as  
6 mentioned above.

7                               Next slide, please.

8                               This table shows the  
9 predictive results of contaminants above the  
10 applicable criteria for the construction  
11 phase, including cumulative concentrations.  
12 These contaminants include benzene,  
13 benzo(a)pyrene, nitrogen dioxide, total  
14 suspended particulate matter, the inhalable  
15 particulate matter, PM10, fine particulate  
16 matter, PM2.5, crystalline silica and  
17 dustfall.

18                              The numbers in brackets are  
19 the comparison between concentrations and  
20 applicable criteria. And the numbers in red  
21 indicate the comparison above the applicable  
22 provincial criteria. For example, to predict  
23 the maximum 24 hour and annual benzo(a)pyrene  
24 concentrations at special receptors, I expect  
25 to be above the provincial criteria. The

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 environmental impact statement addendum  
2 indicates that the benzo(a)pyrene exceedances  
3 are due to the emissions from local traffic on  
4 the roads, and the project would contribute to  
5 only a small amount of the total  
6 benzo(a)pyrene emissions from the roads.

7                           It is recommended that  
8 monitoring of benzo(a)pyrene be conducted  
9 before the construction phase to obtain the  
10 real background benzo(a)pyrene concentrations  
11 for the local study area.

12                           Particulate matter  
13 concentrations are predict to be well above  
14 the applicable criteria if the emissions from  
15 haul roads and stockpiles are included in that  
16 assessment.

17                           Next slide, please.

18                           This table shows the  
19 predictive results of the contaminants above  
20 the applicable criteria for operations phase.  
21 In addition to the contaminants mentioned  
22 above for the construction phase that predict  
23 the maximum lethal concentrations on the model  
24 that properly boundary also expect to be above  
25 the applicable criteria.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   For nitrogen dioxide the  
2 predicted maximum concentrations are well  
3 below the Ontario ambient air quality criteria  
4 but above the Canadian ambient air quality  
5 standards.

6                   Next slide, please.

7                   This is an example of control  
8 (indiscernible) of the 24-hour crystalline  
9 silica concentrations for the operations  
10 phase. The lighter blue lines have the  
11 predicted concentration of 6 microgram per  
12 cubic metre, and the lighter pink and the pink  
13 lines show higher concentrations, and the  
14 lighter green lines indicated the predicted  
15 concentration for microgram per cubic metre.

16                  The Ministry has the criteria  
17 of 5 microgram per cubic metre for crystalline  
18 silica based on a 24-hour averaging period.  
19 You can see that the predicted 24-hour  
20 crystalline silica concentrations are expected  
21 to be above the provincial criteria for some  
22 special receptors close to the (indiscernible)  
23 boundary during the operations phase.

24                  Next slide, please.

25                  The proponent has proposed

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 some mitigation measures to reduce the  
2 emissions of fugitive dust and criteria air  
3 contaminants from various activities of the  
4 project.

5                                   The effective of the proposed  
6 mitigation measures is depend on how these  
7 measures are implemented. Therefore it is  
8 important to develop the best management and  
9 practice plan with details. Also the proponent  
10 has made a commitment to implement an air  
11 quality monitoring program. It is unclear what  
12 contaminants will be included in the follow-up  
13 air quality monitoring program. It seems that  
14 only particulate matter and the dustfall will  
15 be monitor based on the sampling information  
16 from the proposed follow-up and monitoring  
17 programs.

18                                   Next slide, please.

19                                   To manage and mitigate the  
20 effects of project on air quality. Below is a  
21 summary of MECP's recommendation for the  
22 Marathon Palladium Project should the project  
23 be given approval.

24                                   Conduct polycyclic aromatic  
25 hydrocarbons monitoring before construction

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 for one year to establish accurate background  
2 concentrations and to confirm the modelling  
3 results of benzo(a)pyrene emissions due to  
4 emissions from local traffic on the Peninsula  
5 Road. Total suspended particulate matter,  
6 including metals, PM10, PM2.5, crystalline  
7 silica, nitrogen dioxide, and the dustfall  
8 should be included in the follow-up air  
9 monitoring program during construction and  
10 population phases. PH may also needed to  
11 measured during construction and the  
12 operations phase depending on the measurements  
13 of background benzo(a)pyrene concentrations.

14                                   Continuous PM10 or PM2.5  
15 monitoring is recommended for -- to facilitate  
16 that implementation of adaptive dust  
17 management. Conduct load dust sampling to  
18 verify the silt content used in the modelling  
19 for unpaved roads. Develop an air quality  
20 management program with details to manage and  
21 mitigate the effects of the project on air  
22 quality.

23                                   Next slide, please.

24                                   That's brings to the end of  
25 my presentation. Thank you.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PANEL CHAIR: Thank you very  
2 much for your presentation, very much  
3 appreciate it this morning.

4 I think we'll move to the  
5 next presentation for the same ministry,  
6 Ministry of Environment, Conservation and  
7 Parks. This presentation is related to noise.

8 Good morning.

9 MR. SMITH: Good morning.

10 PANEL CHAIR: We can put up  
11 your presentation, and you can let us know  
12 when you would like your slides advanced. Over  
13 to you.

14 MR. SMITH: Thank you. Good  
15 morning. My name is Kevin Smith. I'm a noise  
16 engineer with the Ministry of Environment,  
17 Conservation and Parks, and I reviewed the  
18 project acoustic assessment related to human  
19 effects from noise and vibration based on the  
20 Ontario guidelines.

21 Next slide.

22 My presentation outline will  
23 cover MECP's role in the environmental  
24 assessment and the technical review of the  
25 proponents and MECP's recommendations.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Next slide.

2 MECP's role in the  
3 environmental assessment is based on the  
4 *Environmental Assessment Act* and the  
5 *Environmental Protection Act*.

6 Next slide.

7 There are three Ontario  
8 environmental noise guidelines that were  
9 applied. First one is the Environmental Noise  
10 Guideline, Stationary and Transportation  
11 Sources, Approval and Planning, publication  
12 NPC-300. The second one is the Environmental  
13 Sound and Vibration Guideline for Blasting,  
14 publication NPC-119. And the third one is the  
15 Ministry of Transportation, noise guideline  
16 for highways which was applied for road  
17 traffic noise assessment.

18 Next slide.

19 NPC-300 applies to the mining  
20 operations and construction, and the one-hour  
21 equivalent sound level is applicable to any  
22 hour of the day, evening and nighttime at  
23 outdoor points of reception and plane of  
24 window points reception.

25 The sound level limits are

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 based on the background sound or the  
2 exclusionary limits shown in table B1  
3 whichever is higher. In the case of a project  
4 the background sounds levels are low;  
5 therefore the exclusionary limits apply. There  
6 are four classes to consider. Class 1 is an  
7 urban area. Class 2 is a semi-urban area.  
8 Class 3 is rural. Class 4 is urban with high  
9 background.

10 In the case of the project  
11 most receptors are located within the Town of  
12 Marathon or along Highway 17. Therefore they  
13 are class 2, semi-urban. There are some remote  
14 receptors; they are class 3 area rural.

15 Next slide, please.

16 Table B2 shows the plane of  
17 window exclusionary sound level limits for  
18 noise sensitive spaces. It also includes the  
19 nighttime case for any hour from 11:00 p.m. to  
20 7:00 a.m.; the sound level limits are 5  
21 decibels more restrictive.

22 Next slide, please.

23 Blasting sound and vibration  
24 is also considered a contaminant under the  
25 EPA. There are two blasting metrics to

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 consider from a blasting event.

2 First is vibration, ground  
3 vibration, and that's measured in peak  
4 particle velocity millimetres per second. And  
5 the second part of a blast is the sound  
6 concussion which is also called air blast or  
7 air overpressure, and that's measured in peak  
8 sound pressure level dB linear.

9 The purpose of publication  
10 NPC-119 for blasting is to ensure that there  
11 is very, very low risk of structural damage to  
12 the nearby dwellings from a blast event. If  
13 the blastering (ph) charge does not have  
14 monitors set up near the nearest dwelling the  
15 blastering charge should use the cautionary  
16 limit shown in the first row, 120 dB peak  
17 sound pressure level and 10-millimetre per sec  
18 peak particle velocity ground (indiscernible)  
19 limit. If the blastering charge does have  
20 monitors set up near the nearest residence,  
21 blastering charge can design to the less  
22 restrictive limits of 128 and 12.5 millimetres  
23 per second peak particle velocity.

24 Next slide, please.

25 MECP's technical review

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 included noise sources for mining extraction  
2 or processing, mining impulsive noise events,  
3 road traffic noise from mining activities and  
4 rail loadout area, as well as blasting sound  
5 concussion and blasting vibration.

6 Next slide.

7 MECP's analysis conclude that  
8 the proponent has used appropriate sound level  
9 limits. They included all relevant noise  
10 sources. They used valid noise predictions for  
11 facility construction noise and vibration,  
12 mining extraction and processing, and blasting  
13 sound and vibration. MECP is uncertain about  
14 the rail loadout facility noise impact and  
15 requires further details from the proponent  
16 which can be mitigated in our recommendations  
17 which will be discussed later.

18 Next slide, please.

19 The proponent proposes  
20 migration measures and best management  
21 practice to reduce noise impact at night by  
22 ensuring that mining operations at the process  
23 solids management facility at night have  
24 restricted equipment operations, including no  
25 compactors, no southern bulldozer and only

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 four haul trucks per hour. They will also  
2 ensure that noise impact at the rail loadout  
3 facility receptors is mitigated by ensuring  
4 that the rail loadout facility building doors  
5 are always closed when concentrate delivery  
6 trucks are positioning and dumping inside and  
7 that the rail loadout facility will have no  
8 truck idling outdoors and inside the rail  
9 loadout facility building. Blasting sound and  
10 vibration will also be mitigated by specifying  
11 blasting charge size limits for construction  
12 and mining operations to ensure compliance  
13 with NPC-119 cautionary limit which is more  
14 restrictive.

15                                      Next slide, please.

16                                      The proponent is proposing to  
17 monitor construction blasting sound of  
18 vibration by placing monitors near the North  
19 Lake Hare Cottage, the Laughing Moose Eatery  
20 Restaurant and Residence and the Peninsula Inn  
21 and May's Gifts.

22                                      Next slide.

23                                      MEC (sic) recommends, number  
24 one, the proponent should provide more details  
25 about the rail loadout facility trucking and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 trans-loading operations for the worse case  
2 hours 7:00 a.m. to 8:00 a.m. and 7:00 p.m. to  
3 8:00 p.m. when ten trucks arrive at the rail  
4 loadout facility. This information can be  
5 provided as part of the proponent's  
6 application for an environmental compliance  
7 approval under EPA should the project be given  
8 an approval to proceed under the *Environmental*  
9 *Assessment Act*.

10                                 Number two, the proponent  
11 should complete an acoustic audit of the rail  
12 loadout facility by an independent acoustical  
13 consultant after rail loadout facility start  
14 up.

15                                 Next slide.

16                                 Number 3, the proponent  
17 should install ambient noise-adjusted backup  
18 beepers or broadband backup beepers for all  
19 mobile heavy equipment, including loaders,  
20 track drills, bulldozers, compactors,  
21 excavators, production shovels, graders, pit  
22 trucks and shipping trucks.

23                                 And lastly we recommend the  
24 proponent should routinely monitor blasting  
25 vibration and blasting sound concussion at the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 nearest blasting sensitive receptor if peak  
2 levels are above the MECP cautionary limits  
3 specified with NPC-119 or if a blasting  
4 sensitive receptor is located within 1  
5 kilometre of a blasting charge. Sensitive  
6 receptor means residences or facilities where  
7 people sleep, nursing homes, hospitals,  
8 trailer parks, campgrounds, schools and child  
9 care centres. Thank you.

10 PANEL CHAIR: Thank you.

11 Thanks so much for your presentation and to  
12 all presenters this morning.

13 I think we'll take a break  
14 now. It's exactly 10:15. How about we take 20  
15 minutes. We'll return here at 10:35. Thank you  
16 very much.

17 --- Recess taken at 10:16 a.m.

18 --- Upon resuming at 10:38 a.m.

19 PANEL CHAIR: Okay. Welcome  
20 back, everyone. We'll now move on the first  
21 segment of our questions related to the  
22 presentations we heard this morning. So with  
23 that, I will ask whether at this time Health  
24 Canada has any questions for our presenters  
25 this morning related to air quality, GHG

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 emissions or noise.

2 MS. MA: Hello, Madam Chair.

3 No, Health Canada does not have any questions  
4 for the presenters today. Thank you.

5 PANEL CHAIR: Thank you.

6 Ministry of Environment, Conservation and  
7 Parks, do you have any questions for  
8 presenters on those same topics, air quality,  
9 GHG emissions and noise?

10 MR. SMITH: Hello, Madam  
11 Chair. We don't have any noise questions.

12 PANEL CHAIR: Okay. Thank you.

13 MR. QIU: Okay. Sorry.

14 PANEL CHAIR: That's okay.

15 MR. QIU: Yeah, I do have one  
16 quick question are to particulate emissions  
17 from --

18 PANEL CHAIR: And who is your  
19 question to?

20 MR. QIU: Question is for the  
21 proponent.

22 PANEL CHAIR: Okay. Go ahead,  
23 please.

24 MR. QIU: Okay. So for the  
25 particulate emissions from the roads, when

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 they used the -- I think when they use the  
2 daily traffic, daily vehicle kilometres  
3 travelled, the value of that it seems like  
4 it's underestimated when they calculated the  
5 emission from the road, for some roads in the  
6 operations phase. So I don't know the  
7 proponent, when they do the calculation, do  
8 they confirm all the calculation or not?

9 PANEL CHAIR: Thank you. Mr.  
10 Anwyll.

11 MR. ANWYLL: If I could  
12 indulge, Madam Chair, I would like to caucus  
13 quickly, please.

14 PANEL CHAIR: Thank you. Go  
15 ahead.

16 MR. ANWYLL: Hello, Madam  
17 Chair. Drew Anwyll for the record.

18 PANEL CHAIR: Sorry, go ahead.

19 MR. ANWYLL: If possible in  
20 our caucus we were struggling to clarify  
21 specifically what the question was. So we  
22 would like additional clarity on the question,  
23 whether that's site roads, the TransCanada or  
24 some other location. So we weren't certain  
25 which numbers were being requested.

1                   PANEL CHAIR: Okay. Just a  
2 moment. MECP, would you be able to provide  
3 that now or just a bit of clarity based on  
4 what Mr. Anwyll was asked?

5                   MR. QIU: Yeah, I think if you  
6 pull out the document, you can see that except  
7 for a few roads maybe an access road, you did,  
8 you know, the calculation for the daily week  
9 or kilometres travelled correctly, but for  
10 some other roads it seems like you didn't do  
11 that correctly. The daily week or kilometres  
12 travelled should be the length of the road  
13 times the trip of the, you know, the week or  
14 travel on that road. But it seems like, you  
15 know, you've done some kind of factor for the  
16 calculation. So that's my question. So I don't  
17 know why you done some kind of factor to  
18 calculate, you know, the daily week or  
19 kilometres travelled.

20                  PANEL CHAIR: Would you have a  
21 reference page or a reference document you  
22 could point to at this moment?

23                  MR. QIU: Let me see. Then I  
24 will be -- okay. Let me see, I can find the  
25 document and open it, appendix D1. Okay. Page

1 300 -- just a second. Okay. Can you open the  
2 appendix D1 and at page 399. So this just one  
3 of examples. You look the table for the  
4 (indiscernible) load. You look in the haul  
5 trucks.

6 PANEL CHAIR: We're going to  
7 put that up on the screen for everyone to see  
8 the reference at this point, just be a minute  
9 or two.

10 MR. QIU: Okay.

11 PANEL CHAIR: Thank you.

12 MR. QIU: 99.

13 PANEL CHAIR: Is this the  
14 right table at this point?

15 MR. QIU: No, this is 399.  
16 299.

17 PANEL CHAIR: Oh, we need 399,  
18 please.

19 MR. QIU: 299.

20 PANEL CHAIR: 299. Sorry.

21 MR. QIU: Yes.

22 PANEL CHAIR: 299.

23 MR. QIU: Yes, this page. Just  
24 one example, look at the, you know, the last  
25 table. So for the haul trucks look at the, you

1 know, the number of trucks, the trips and also  
2 the length of the load and look they know the  
3 total VKT.

4 PANEL CHAIR: And your  
5 question is -- so if we look at those three  
6 sections of the table.

7 MR. QIU: Yeah, it should be  
8 like 60 times the length is 0.6 kilometres, so  
9 you should be 3.6 -- let me see, 6 times --  
10 36, should be like 36-something.

11 PANEL CHAIR: So you're  
12 questioning -- we're just trying to enhance  
13 the view of this a little bit more. It's very  
14 difficult to see. So you're on the right side  
15 of the screen. Is it highlighted in yellow? Is  
16 that what you're referring to or not?

17 MR. QIU: No, the last table.

18 PANEL CHAIR: Okay. The table  
19 on the bottom?

20 MR. QIU: Yes.

21 PANEL CHAIR: Okay.

22 MR. QIU: And the low of the  
23 haul truck.

24 PANEL CHAIR: Okay. We're  
25 getting there.

1 MR. QIU: It's okay. Yes. Look  
2 at the -- you know, number of trucks is 30. So  
3 the trip is 60. So the length of the load is  
4 0.6 kilometres, so the total VKT. Go a little  
5 bit to the right. So it shows 1.08.

6 PANEL CHAIR: So you've got  
7 the number of trucks at 30. This is the line  
8 you're looking at?

9 MR. QIU: Yes.

10 PANEL CHAIR: Number trucks at  
11 30. The number of trucks in an hour at 1.88 or  
12 --

13 MR. QIU: It shows 1.08 for  
14 the VKT, the last column.

15 PANEL CHAIR: Right. Yes, I  
16 got it. And your question is?

17 MR. QIU: Yeah, this number,  
18 it seems like was underestimated.

19 PANEL CHAIR: Okay. Mr.  
20 Anwyll, is that helping with clarity?

21 MR. ANWYLL: Excuse me for a  
22 second. Yes, I'll confirm with my technical  
23 colleagues and come back.

24 PANEL CHAIR: Okay, thank you.

25 MR. ANWYLL: If I could, thank

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 you.

2 PANEL CHAIR: Yes.

3 MR. ANWYLL: Thank you, Madam  
4 Chair, for the time to caucus.

5 So the -- our Gregory Crooks  
6 will be opening the spreadsheet itself, so if  
7 we can potentially let him -- give him a bit  
8 of time to go through the math on that one and  
9 later on in the session if possible we can  
10 come back and clarify the answer to this.

11 PANEL CHAIR: That's fine.

12 Thank you.

13 MR. ANWYLL: Okay. Excellent.  
14 Thank you for your time.

15 PANEL CHAIR: We'll make sure  
16 to come back on that.

17 Okay. Are there other  
18 participants who have questions for the  
19 presenters this morning on air quality, GHG  
20 emissions or noise? Okay. And Generation PGM,  
21 do you have any questions for our presenters  
22 this morning?

23 MR. BARRETTO: Good morning,  
24 Madam Chair, Jeremy Barretto for the record.

25 No, Generation Mining does

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 not have questions for the presenters this  
2 morning. Thank you.

3 PANEL CHAIR: Thank you very  
4 much. So at this time I will turn it over to  
5 our panel for the questions we will have.

6 Ms. Bruce will begin  
7 questioning for air and greenhouse gas  
8 emissions. Thank you.

9 QUESTIONS SESSION:

10 PANEL MEMBER BRUCE: Thank  
11 you.

12 So just as a way of an  
13 opening comment, the questions with respect to  
14 atmospheric environment in some cases  
15 crossover the human health, so there are some  
16 questions that we'll ask today, but there will  
17 also be some questions that will be asked  
18 tomorrow that are a little bit more in the  
19 context of human health.

20 So to start with there are  
21 several non-industrial emission sources within  
22 the local study area and the regional study  
23 area, including the Marathon municipal  
24 landfill, Marathon airport and Highway 17. It  
25 was acknowledged in fact that the primary

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 influencer of air quality is the traffic  
2 that's on Highway 17.

3                   The NAPS' background data  
4 from faraway stations may not adequately  
5 capture the specific emission sources even if  
6 it is considered to be generally conservative.  
7 In other cases the NAPS data may overestimate  
8 concentrations of certain contaminants such as  
9 benzene and benzo(a)pyrene. So this question  
10 is to Generation PGM.

11                   This morning Health Canada  
12 noted that given baseline data is from urban  
13 areas where baseline numbers for some  
14 contaminants, again as example, benzene and  
15 benzo(a)pyrene, will be higher. In light of  
16 this during monitoring what relevant baseline  
17 data will the results be compared to?

18                   MR. ANWYLL: Thank you for the  
19 question, Panel Member Bruce. I'll caucus for  
20 one second if I could, please.

21                   PANEL MEMBER BRUCE: Thank  
22 you.

23                   MR. ANWYLL: Thank you for the  
24 allowance for the time to caucus. I will hand  
25 over the technical answer to Gregory Crooks.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MR. CROOKS: Madam Chair,  
2 Gregory Crooks for the record.

3 Panel Member Bruce, thank  
4 your for the question. In terms of ambient  
5 monitoring, moving forward that data that is  
6 collected would be compared to the levels that  
7 were assumed in the environmental impact  
8 assessments and used to confirm those numbers  
9 and confirm that they are in fact  
10 conservative.

11 PANEL MEMBER BRUCE: Okay.  
12 Just before you go, a follow-up question then.

13 So the ambient monitoring  
14 would occur before construction begins?

15 MR. CROOKS: The monitoring  
16 plan is still under consideration and that  
17 would be looked at in terms of the overall  
18 scope of the ambient monitoring -- would also  
19 -- we would also assess monitoring prior to  
20 construction.

21 PANEL MEMBER BRUCE: Sorry,  
22 I'm not sure if that was a yes or no. Ambient  
23 monitoring would be carried out in advance of  
24 construction in order to establish baseline  
25 data?

1 MR. CROOKS: Could I have a  
2 moment to caucus with my colleagues, please.

3 PANEL MEMBER BRUCE:  
4 Certainly.

5 MR. CROOKS: Okay. Thank you  
6 for that moment. Greg Crooks for the record.

7 Yes, Generation PGM is  
8 committing to doing background ambient  
9 monitoring prior to construction.

10 PANEL MEMBER BRUCE: Thank you  
11 for your answer. Okay. Just give me a sec  
12 please to finish my notes.

13 My next question is also for  
14 Generation PGM. The air quality effects and  
15 GHG emissions assessment -- sorry, I'm going  
16 to start over again.

17 The air quality affects --  
18 and I'm not sure about the GHG emissions  
19 assessment -- do not consider emissions from  
20 idling train engines which would be sources  
21 diesel emissions and are incidental to the  
22 project. However, we've heard today and in IR  
23 6-6 that noise from where railcar activity was  
24 included in the updated noise modelling.

25 So question for Generation

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PGM. Could you please explain why  
2 environmental effects from railcars operating  
3 within the rail loadout facility were  
4 considered for noise but not for other VECs,  
5 specifically air quality?

6 MR. CROOKS: I would like to  
7 caucus quickly, if I could, Panel Member  
8 Bruce.

9 PANEL MEMBER BRUCE: Thank  
10 you.

11 MR. CROOKS: Thank you for  
12 that moment, Madam Chair. Greg Crooks for the  
13 record.

14 No, we didn't include  
15 locomotive emissions at the rail facility  
16 because the locomotives, they may in fact be  
17 electric; they may not be diesel in which case  
18 they would not have any emissions. And also  
19 the emissions are -- from those are very short  
20 term, and they only come from -- as the cars  
21 are actually moved around, so they are not  
22 actually within the rail facility itself but  
23 on the occasional movements on the track  
24 outside. So they were deemed minor compared to  
25 the other emission sources that were assessed.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   PANEL MEMBER BRUCE: So I just  
2 want to make sure I understand, Mr. Crooks.  
3 You did not include or GenPGM did not include  
4 the locomotive facilities; they may be  
5 electric. I'm not sure I'm understanding that.

6                   MR. CROOKS: What we -- our  
7 understanding is that the locomotives that may  
8 be used for moving the cars around at the rail  
9 loadout may in fact be electric as opposed to  
10 diesel locomotives, and if they are electric  
11 locomotives that are used, then there wouldn't  
12 be any emissions associated with them.

13                   PANEL MEMBER BRUCE: Okay.  
14 Thank you.

15                   Okay. My next question is  
16 with respect to mine sequencing. Three open  
17 pits are proposed to be mined over the project  
18 lifecycle. The north pit is to be mined  
19 throughout the life of the project with mining  
20 of the central and south pits to occur at  
21 various times to supplement ore production  
22 from the north pit. Year 2 was selected as a  
23 worst-case scenario for air dispersion  
24 modelling and only one open pit operation and  
25 that is the north pit was included in the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 modelling.

2                               We heard in the noise  
3 assessment today that the year 2 north pit --  
4 or the assumption associated with the noise  
5 assessment was that the year 2 north pit would  
6 be at maximum capacity and the southern open  
7 pit extraction would be near surface.

8                               So we're looking for  
9 clarification in terms of the air quality  
10 modelling. Was it just the north pit that was  
11 assumed, or is there a scenario where with it  
12 would not only be the north pit but it would  
13 also the south pit being mined concurrently?

14                              MR. CROOKS: Thank you for the  
15 question. I'd like to take a moment to caucus  
16 with my colleagues. Thank you for that moment  
17 to confer.

18                              When we're doing the air  
19 quality assessments, the emission scenario  
20 that we determined was to generate a  
21 worst-case impact at the receptors, and to do  
22 that for the air specifically, we assumed all  
23 of the activities that were occurring in year  
24 2 were -- all of mining activities were  
25 occurring in the north pit because the north

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 pit were the closest to the property boundary,  
2 and so that would give us our worst-case  
3 impacts in terms of the maximum off property  
4 concentrations that we would see. And the  
5 methodology that we used was somewhat  
6 different than what the noise assessment used  
7 because they premised their assessment looking  
8 at noise sensitive receptors as opposed to the  
9 air receptor.

10                                 So the -- both air quality  
11 and noise assessments utilized scenarios that  
12 were conservative, not necessarily  
13 corresponding to the mine sequencing but using  
14 a conservative variation of that to get the  
15 worst-case impacts at receptors that were  
16 appropriate for each -- for either air or for  
17 noise.

18                                 PANEL MEMBER BRUCE: Thank  
19 you.

20                                 Okay. My next question is  
21 seeking clarification on crystalline silica  
22 receptors. So there appears to be a conflict  
23 between information in the atmospheric  
24 environmental appendix, and that would be D1,  
25 pages 152 and 187. The map was also shown in I

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 think your slide 2 or 3, the map showing the  
2 receptors. So the atmospheric appendix shows  
3 receptor 22 as being located on Highway 17  
4 adjacent to the Travelodge, yet the human  
5 health risk assessment suggest the exceedance  
6 is associated with the rail loadout facility  
7 and that is based on 727 -- CIAR 727, appendix  
8 D10, page 77. So we're looking for a  
9 comparison between that map that shows the  
10 receptors and the location of receptor 22, and  
11 the comment that seems to suggest that the  
12 exceedance is associated with the rail loadout  
13 facility.

14 So can GenPGM identify  
15 exactly which area and receptors are being  
16 referenced as having elevated crystalline  
17 silica levels?

18 MR. CROOKS: Thank you for  
19 that question. I would like to take a moment  
20 to caucus.

21 PANEL MEMBER BRUCE: Thank  
22 you. Are there any references you need me to  
23 repeat?

24 MR. CROOKS: I think we're  
25 okay.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PANEL MEMBER BRUCE: Okay.

2 Thank you.

3 MR. CROOKS: Okay. Thank you.

4 Madam Chair, Greg Crooks for the record. To  
5 answer this question, I'm going to turn it  
6 over to my colleague Mr. Don Hart.

7 PANEL MEMBER BRUCE: Thank  
8 you. Hello, Mr. Hart.

9 MR. HART: Yes, Madam Chair,  
10 thank you for the question. I believe there  
11 was mislabeling in the HHRA. We did in fact  
12 assess location R22 as the maximum location,  
13 and this is in fact near the airport not near  
14 the rail loadout.

15 PANEL MEMBER BRUCE: Thank you  
16 for that clarification. Just before you go  
17 off, there -- was I just want to confirm there  
18 was not in addition to R22 a location near the  
19 rail loadout facility with elevated  
20 crystalline silica levels.

21 MR. HART: If I could have a  
22 moment to caucus, please. Thank you for the  
23 question. Don Hart for the record.

24 Yes, location R22 was the  
25 maximum location. This can be seen in table

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 5-nine of the HHRA, and R22 was assessed as  
2 the maximum location.

3 PANEL MEMBER BRUCE: Okay.  
4 Thank you.

5 So I have -- continue to have  
6 some questions with respect to crystalline  
7 silica. So in the EIS addendum is stated that  
8 no background concentrations for crystalline  
9 silica were available. Therefore the model  
10 predictions for the project alone and the  
11 cumulative effect scenarios are the same.

12 So we have seen there were  
13 exceedances predicted for crystalline silica.  
14 Since seeing the elevated levels and  
15 exceedances of crystalline silica has  
16 Generation PGM undertaken any background  
17 sampling in the area of the project? I'm not  
18 sure who that question should be directed to.

19 MR. HART: If I could have a  
20 moment to caucus, please.

21 PANEL MEMBER BRUCE: Okay.

22 MR. HART: Thank you. I would  
23 like to turn it back to Mr. Crooks to respond  
24 to that question.

25 PANEL MEMBER BRUCE: Thank

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 you.

2 MR. CROOKS: Okay. Thank you,  
3 Madam chair. Greg Crooks for the record.

4 As of this point Generation  
5 PGM hasn't conducted any background monitoring  
6 for crystalline silica. However it could be  
7 included a parameter for pre-construction  
8 monitoring.

9 PANEL MEMBER BRUCE: Okay.  
10 Thank you. So just give me a second, please.

11 I just -- what would be your  
12 understanding of other potential sources of  
13 crystalline silica in the area?

14 MR. CROOKS: Thank you for  
15 that question. Crystalline silica is a  
16 component of most types of rocks, so, you  
17 know, essentially anything in the area of that  
18 particulate will have some crystalline silica  
19 in it at varying percentages.

20 PANEL MEMBER BRUCE: So would  
21 you anticipate that the modelling that's been  
22 done when you add the cumulative component of  
23 background levels will result in additional  
24 exceedances of crystalline silica given its  
25 pervasive nature.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MR. CROOKS: Well, certainly,  
2 you know, if we had data available for  
3 background levels of crystalline silica when  
4 they were added to the model predictions, they  
5 would increase the cumulative values.

6 PANEL MEMBER BRUCE: Thank  
7 you.

8 And just for the record I  
9 understand you had stated that background  
10 monitoring for crystalline silica, there would  
11 be a commitment to carrying that out in  
12 advance of construction.

13 MR. CROOKS: I would just like  
14 to take a moment to confer on that.

15 PANEL MEMBER BRUCE: Okay.

16 MR. CROOKS: Thank you, Madam  
17 Chair. Greg Crooks for the record.

18 Yes, Generation PGM is  
19 committing to measuring crystalline silica  
20 background levels pre-construction.

21 PANEL MEMBER BRUCE: Thank  
22 you. Could I please ask that MECP and Health  
23 Canada come back on for question, please.  
24 Thank you both for coming back on.

25 So I will ask Health Canada

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 first. Do you have any concerns regarding the  
2 predicted crystalline silica results given the  
3 absence of background data being added into  
4 the modelled concentrations?

5 MS. MA: Thank you, Madam  
6 Chair, for the question. May I take a few  
7 moments to caucus with my team?

8 PANEL MEMBER BRUCE: Thank  
9 you. And this is the same question for MECP,  
10 so if you need any moment to caucus feel, free  
11 to do so.

12 MR. QIU: Okay. So I can  
13 answer this question.

14 PANEL MEMBER BRUCE: Well,  
15 let's just hold up until Ms. Ma is ready so  
16 she can hear your answer as well.

17 MR. QIU: Thank you.

18 MS. MA: Thanks for waiting  
19 everybody. Yes, we can hear MECP's answer  
20 first, and then I will invite one of my  
21 colleagues to answer on behalf of Health  
22 Canada.

23 PANEL CHAIR: Okay. Thank you.  
24 Go ahead, sir.

25 MR. QIU: Okay. Like, based on

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the modelling the predicted maximum 24-hour  
2 and the annual benzo(a)pyrene concentration,  
3 already I expect to be above the, you know,  
4 applicable criteria. So if the -- at the  
5 background concentration for the crystalline  
6 silica, so the predicted concentration will be  
7 higher compared to right now for the  
8 (indiscernible) alone, so that means, you  
9 know, they are only getting worse. Right now  
10 is already, you know, have -- like, you know,  
11 for some specialty (indiscernible), receptors  
12 will be concede they have, you know, some kind  
13 of exceedance.

14                                 So they also show, you know,  
15 the exceedance frequency. So, like, for the  
16 24-hour (indiscernible) not that frequent, you  
17 know, based on that (indiscernible) provided  
18 by the proponent. Like, I believe it's less  
19 than 10 percent, and that means 100 days they  
20 only have less than 10 days. But when you look  
21 at the annual result, the maximum annual, you  
22 know, concentration (indiscernible) to be  
23 above the, you know, applicable criteria that  
24 means, you know, there's a concern, so....

25                                 PANEL MEMBER BRUCE: Thank

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 you, sir. Okay, Ms. Ma.

2 MS. MA: Thank you. I would  
3 like to invite Frédéric Valcin to answer the  
4 question on behalf of Health Canada.

5 MR. VALCIN: All right. Thank  
6 you, Ms. Ma. Thank you, Madam Chair.

7 So yes, indeed, we did notice  
8 that for crystalline silica only project  
9 contributions were modelled. At a property  
10 boundary the maximum concentrations are  
11 expected to be greater than the criteria for  
12 longer periods of time between 80 and 89  
13 percent of the time. So we would agree with  
14 the need to measure baseline levels to get a  
15 better sense of what they are reviewing the  
16 project area. This would obviously -- when you  
17 add them to model predicted concentrations,  
18 you would have probably presumably more  
19 exceedances at more locations. Thank you.

20 PANEL MEMBER BRUCE: Thank  
21 you, Mr. Valcin.

22 My question now goes back to  
23 Generation PGM. Okay. Having heard the  
24 concerns, is there anything you would like to  
25 add with respect to additional migration

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 measures if the exceedances are notably more  
2 than what is predicted?

3 MR. ANWYLL: If I could caucus  
4 quickly, Panel Member Bruce.

5 PANEL MEMBER BRUCE: Thank  
6 you.

7 MR. CROOKS: Thank you, Madam  
8 Chair. Gregory Crooks for the record.

9 In terms of the crystalline  
10 silica exceedances, certainly Generation PGM,  
11 you know, is aware, you know, based on the  
12 project alone, modelling predictions that show  
13 exceedances that those exceedances would have  
14 to be addressed during the design of the  
15 facility in any event and -- because at the  
16 permitting stage Generation PGM is going to be  
17 have to demonstrate compliance with the  
18 crystalline silica criteria.

19 PANEL MEMBER BRUCE: Okay.  
20 Thank you.

21 My next question is respect  
22 to silt loading content. Can Generation -- so  
23 in their hearing submission MECP has raised  
24 the issue that air quality emissions estimates  
25 used a low silt content of 5.8 percent for

1 unpaved roads. MECP has suggested that a silt  
2 content of 9.14 percent would be more  
3 appropriate and that this is the mean value  
4 from the range of .1 percent to 36.8 percent  
5 typically found on unpaved roadways on Ontario  
6 mining sites.

7                               So the question to Generation  
8 PGM, can you explain why the silt content of  
9 5.8 percent on unpaved road was used in the  
10 air quality monitoring -- sorry, air quality  
11 modelling?

12                               MR CROOKS: Certainly. Madam  
13 Chair, Greg Crooks for the record.

14                               I would characterize the  
15 value of 5.8 percent that used in the emission  
16 inventory in the modelling as being  
17 representative of silt content for mine sites  
18 with rocks similar to Generation PGM. The  
19 reference that the Ministry was quoting in  
20 their written submissions which was CIAR 1081,  
21 they reference the documents, Centre For  
22 Excellence in Mining Innovation data. And the  
23 data that is presented in that table is for  
24 mine sites across Ontario.

25                               Now, the geology of Ontario

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 is quite variable, and the types of rocks that  
2 occur at different mine sites is also quite  
3 variable. And the data that's included in that  
4 report and on which that average number is  
5 based includes data for mine sites that have  
6 much softer rocks, things like limestone, for  
7 instance, or sandstone and which will more  
8 readily create silt as opposed to the harder  
9 rock, igneous-type rock which is what we find  
10 at the Generation PGM site, and the harder  
11 rocks will typically generate less silt.

12                               So the value that's -- the  
13 Ministry is discussing is skewed high relative  
14 to numbers we would expect for the rock types  
15 in -- such as Generation PGM. The value that  
16 we used in the assessment was taken a U.S. EPA  
17 reference document for mine sites that have a  
18 rock type that is in fact actually very  
19 similar in hardness to the rocks at the  
20 Generation PGM site. So we could expect those  
21 data would actually be, you know,  
22 representative of what we would be getting for  
23 silt content at the Generation PGM site.

24                               PANEL MEMBER BRUCE: Okay.  
25 Thank you. I'm not sure, and you can -- just

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 because I don't have it in front of me. So I'm  
2 going to ask you, the reference that you are  
3 referring to from the U.S. EPA data, was that  
4 something that was referenced in your  
5 document?

6 Sorry, you're muted.

7 MR. CROOKS: Pardon me. That  
8 is referenced in the air quality assessment  
9 which is appendix D1 of the EIS, which is CIAR  
10 727, I believe.

11 UNDERTAKING 22:

12 PANEL MEMBER BRUCE: Could you  
13 give me a moment to caucus, please. Thank you.

14 So we're going to ask please,  
15 so that we have it on record, that the  
16 relevant section of the document that you have  
17 referred to be submitted to the panel and this  
18 would be undertaking 22. Any questions about  
19 that?

20 MR. ANWYLL: Yeah, just to  
21 confirm, Panel Member Bruce, did you want the  
22 reference from the EIS document or the EPA  
23 document?

24 PANEL MEMBER BRUCE: No, no,  
25 the EPA document --

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MR. ANWYLL: All right. Copy  
2 that.

3 PANEL MEMBER BRUCE: -- which  
4 lays out the rationale, I would assume, for  
5 the 5.8 percent with respect to igneous rocks.

6 MR. ANWYLL: Excellent. We  
7 understand that. Thank you.

8 PANEL MEMBER BRUCE: Okay.  
9 Thank you.

10 And just a follow-up  
11 question. Is Generation PGM willing to conduct  
12 a site sampling just to confirm that that was  
13 a reasonable conclusion and adapt their dust  
14 management strategies if necessary based on  
15 the results?

16 Just to confirm that silt  
17 content is in the order of 5.8 percent.

18 MR. ANWYLL: Sorry, Panel  
19 Member Bruce, we were in the midst of a caucus  
20 issue. If you would give me a moment to  
21 caucus.

22 PANEL MEMBER BRUCE: No  
23 problem.

24 MR. ANWYLL: Sorry about that.

25 MR. CROOKS: Okay. Thank you,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Madam Chair. Gregory Crooks for the record.  
2 Yes, I can confirm that Generation will commit  
3 to measuring silt content on the haul roads.

4 PANEL MEMBER BRUCE: In  
5 advance of construction.

6 MR. CROOKS: In this case it  
7 would have to be during construction because  
8 we actually have to build the haul roads  
9 before we can measure the silt content on  
10 them.

11 PANEL MEMBER BRUCE: Okay.  
12 That's fair. Thank you.

13 Okay. So my next question is  
14 related to dust mitigation monitoring and  
15 follow up, and it links back to some of the  
16 discussions on vegetation.

17 Generation PGM mentioned at  
18 slide 18 of their presentation on March 22nd  
19 that dust effects to vegetation will be  
20 mitigated through dust suppression activities.

21 The table of commitment  
22 includes a commitment to monitor fugitive dust  
23 from the site and that is CIAR 727, chapter 8,  
24 page 18. Generation PGM indicated that as part  
25 of the atmospheric environment monitoring

1 program fugitive dust will be collected using  
2 dustfall jars as special receptor locations  
3 and that sampling will occur at appropriate  
4 intervals throughout the life of the project.

5 Are you able to expand on  
6 what is meant by appropriate intervals,  
7 specifically frequency and duration of  
8 sampling.

9 MR. CROOKS: Okay. Certainly.  
10 Madam Chair, Greg Crooks for the record.

11 Dustfall sampling around mine  
12 sites is typically conducted during operations  
13 and construction for the entirety of those  
14 phases. And dustfall monitoring is done with  
15 dustfall jars which collect monthly samples.

16 So you get the total dustfall  
17 every month, and then it's changed and then  
18 you measure the next month and so on. So  
19 dustfall would be continuously measured  
20 throughout the construction and operations  
21 phases.

22 PANEL MEMBER BRUCE: Okay.  
23 Thank you.

24 The table of commitments also  
25 includes a commitment to incorporate design

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 features such as windbreaks to limited  
2 fugitive dust emissions. Have specific  
3 locations been identified for windbreaks, and  
4 is this an adaptive management measure if  
5 fugitive dust surpasses a certain level, or is  
6 this something that would be installed from  
7 the start?

8 MR. CROOKS: Thank you for  
9 that question. I'll need take a moment to  
10 caucus with my colleagues.

11 PANEL MEMBER BRUCE: Thank  
12 you.

13 MR. ANWYLL: Thank you for the  
14 question, Panel Member Bruce.

15 PANEL MEMBER BRUCE: Go ahead,  
16 sir.

17 MR. ANWYLL: We did have some  
18 discussions in the caucus, and we established  
19 that this would be part of the adaptive  
20 management procedures we put in place for  
21 operations and construction for that matter  
22 should it be -- so we didn't have any specific  
23 locations with this in mind.

24 PANEL MEMBER BRUCE: Okay.  
25 Thank you.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 I may need Mr. Crooks back  
2 up. This question before you decide who is  
3 coming up -- but I just want to make sure in  
4 terms of the Braun's Holly-fern, the  
5 monitoring that is -- that he described, the  
6 continuous monitoring, would this also address  
7 the specific concerns associated with the  
8 impacted of dustfall on Braun's Holly-fern.

9 MR. ANWYLL: All right. Thanks  
10 for the question, Panel Member Bruce. I'll  
11 caucus to come back with an answer. We'll get  
12 Mr. Gregory Crooks to clarify an answer on  
13 this one, please.

14 PANEL MEMBER BRUCE: Thank  
15 you.

16 MR. CROOKS: Madam Chair, Greg  
17 Crooks for the record.

18 The locations where dustfall  
19 monitoring would be conducted would be  
20 developed during the development of the  
21 ambient monitoring plan, and typically we look  
22 at locations of maximum dustfall and also  
23 locations that are of other interest. And in  
24 this case as the Braun's Holly-fern, you know,  
25 is a species of interest, then we would locate

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 dustfall monitoring jars that would provide  
2 representative data for those species.

3 PANEL MEMBER BRUCE: Thank  
4 you. Okay.

5 My next set of questions  
6 relate to nickel exceedances at the rail  
7 loadout facility. The air quality effects  
8 assessment predicts exceedances of the 24-hour  
9 and annual average nickel criteria on the mile  
10 property boundary around the rail loadout  
11 facility. The exceedances are in the order of  
12 41 percent and 185 percent.

13 GenPGM has said this modelled  
14 exceedance will be addressed at the detailed  
15 design permitting stage through the inclusion  
16 of additional mitigation measures such as full  
17 enclosure with dust collection as required. Do  
18 you have any new information to provide the  
19 panel with respect to mitigation measures?

20 MR. CROOKS: Thank you. I'll  
21 need to caucus on this question. Thank you.  
22 Thank you. Greg Crooks for the record.

23 At this point the design of  
24 the rail loadout facility hasn't progressed  
25 past the feasibility study that was used in

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the environmental impact assessment, but we do  
2 assume that in the detailed design that full  
3 enclosure with bag houses would be  
4 incorporated in the design of it.

5 PANEL MEMBER BRUCE: Thank  
6 you.

7 My next question relates to  
8 air quality monitoring and follow-up program.  
9 There is a lack of detail for atmospheric  
10 environment monitoring program. Both MECP and  
11 Health Canada have noted this and suggested  
12 elements to include in the program. The  
13 government agencies have also recommended the  
14 following monitoring.

15 Prior to construction  
16 fugitive dust to verify silt content used in  
17 modelling, which we did speak about a bit, as  
18 well as polyaromatic hydrocarbons,  
19 specifically benzo(a)pyrene, to establish real  
20 local background concentrations.

21 During all phases of the  
22 project they have also asked that total  
23 suspended particulate matter including PM10,  
24 PM2.5, crystalline silica, NO2 and dustfall,  
25 benzo(a)pyrene and benzene. Recommendations

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 also include trigger or action levels for  
2 adaptive management based on the most  
3 stringent air quality applicable.

4                               We have heard in PGM's  
5 presentation today a commitment to air quality  
6 modelling program during construction and  
7 operation. So do you believe that your plans,  
8 Generation PGM's plan for atmospheric  
9 environment monitoring program are aligned  
10 with the recommendations from the expert  
11 departments today?

12                              MR. CROOKS: Thank you for  
13 that question. I'll need to take one moment to  
14 caucus. Thank you. Madam Chair, Greg Crooks  
15 for the record.

16                              Yes, we do believe that that  
17 ambient monitoring program that we're  
18 contemplating, you know, will be generally  
19 aligned with the recommendations that we've  
20 received from Ministry of Environment and  
21 Environment Change Canada. The exact details  
22 of it will be marked out with the development  
23 of the ambient monitoring plan. That will be  
24 done, you know, should be -- will be overseen  
25 for the project, and that monitoring plan will

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 be developed in consultation with the Ministry  
2 and other regulatory industries as well as  
3 Indigenous communities as well to get their  
4 input. And ultimately that plan will have to  
5 be approved by the Ministry of Environment.

6 PANEL MEMBER BRUCE: My  
7 question also included Health Canada. I just  
8 want to give you the chance to confirm if --

9 MR. CROOKS: Yes, Health  
10 Canada as well would be --

11 PANEL MEMBER BRUCE: Okay.  
12 Thank you.

13 Question with respect to  
14 benzo(a)pyrene criteria. In the EIS Generation  
15 PGM rated the effect from benzo(a)pyrene  
16 exceedances as of low magnitude -- this is in  
17 the significance assessment -- due to the  
18 small project contribution. However,  
19 benzo(a)pyrene sees criteria exceedances in  
20 the project alone scenario even, without even  
21 looking at the background.

22 Can GenPGM explain why the  
23 effect for the benzo(a)pyrene exceedance was  
24 characterized as being of low magnitude?

25 MR. CROOKS: Yes. Thank you

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 for that question. Greg Crooks for the record.

2                               The benzo(a)pyrene exceedance  
3 in the project alone scenario was due to  
4 traffic, and it was simply confined to the  
5 area around the rail loadout. So the extent of  
6 the exceedance was deemed, you know, small and  
7 so that was the basis for that significance  
8 assessment.

9                               PANEL MEMBER BRUCE: Okay.

10 Thank you. Bear with me for a sec.

11                              I just want to confirm that  
12 you had made a statement earlier suggesting  
13 that in the development of the atmospheric  
14 monitoring program that there is a commitment  
15 to work with the various government agencies  
16 as well as Indigenous groups. Is that correct.

17                              MR. CROOKS: Yes, that's  
18 correct.

19                              PANEL MEMBER BRUCE: Okay.

20 Thank you.

21                              My next few questions relate  
22 to greenhouse gases. Actually before we go,  
23 I'm going to call up, MECP, please.

24                              So Generation PGM indicated  
25 that the document that MECP used for reference

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 for silica was a publication produced by the  
2 Centre For Excellence in Mining. Is that  
3 correct?

4 MR. QIU: Actually, like, for  
5 the silica concentration the typical value  
6 that Ministry recommend is 9.4, 14 percent. So  
7 if they don't have the, you know, site  
8 specific silica value, we recommend they use  
9 the, you know, typical mean value in order to  
10 get the conservative result for the worst  
11 case. That's our point.

12 PANEL MEMBER BRUCE: So my  
13 question specifically was, and maybe I'm not  
14 sure whether it should be addressed you to or  
15 Generation PGM. We're just looking to get a  
16 copy of the publication that was produced by  
17 Centre of Excellence in Mining that was used  
18 to reference silica, crystalline silica  
19 concentrations. Is that something that you  
20 use, or should I be asking Generation PGM for  
21 that?

22 MR. QIU: Yeah, I think we  
23 also use that. I can provide it for that.  
24 UNDERTAKING 23:

25 PANEL MEMBER BRUCE: Okay.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Thank you. That will be undertaking 23 to get  
2 a copy of the document that was produced by  
3 the Centre For Excellence in Mining.

4 MR. QIU: Okay, I will send  
5 that document.

6 PANEL MEMBER BRUCE: Thank  
7 you, sir.

8 MR. QIU: You're welcome.

9 PANEL MEMBER BRUCE: Okay. So  
10 now we're going the turn to some questions on  
11 greenhouse gases, please. And just bear with  
12 me, I'm just going to caucus with my panel  
13 while that is getting sorted out.

14 GenPGM and -- is ready, Mr.  
15 Capstick, we're ready to ask some questions on  
16 greenhouse gases.

17 So does -- just this bit of  
18 background. The EIS addendum includes  
19 mitigation measures to reduce project  
20 greenhouse gas emissions such as optimized  
21 mine design, maintenance of equipment,  
22 recovery of marketable timber and anti-idling  
23 and a commitment to evaluate other mitigation  
24 and enhancement measures, such as CO2 capture  
25 and trolley assist.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   In their hearing submission  
2 Environment Canada and Climate Change  
3 considered mitigation measures proposed to  
4 reduce greenhouse gas emissions to be minimal.  
5 They said optimizing mine design and  
6 management of fuel use are simply standard  
7 practices.

8                   Does Generation PGM have any  
9 new information to share on potential GHG  
10 mitigation measures such as CO2 capture and  
11 construction concrete or trolley assist.

12                   MR. CAPSTICK: Thank you  
13 Chairman Bruce, can I just caucus for a  
14 moment, please.

15                   PANEL MEMBER BRUCE:  
16 Certainly.

17                   MR. ANWYLL: Hello, Panel  
18 Member Bruce. Drew Anwyll for the record.

19                   So clarity on those two  
20 elements, carbon capture and potential trolley  
21 assist. So in terms of carbon capture it is  
22 early days in discussion with concrete and  
23 cement providers. Although based on those  
24 initial discussions, we do have considerations  
25 for low carbon impact with concrete, and it's

1 just a matter of when and where and what  
2 circumstance the providers can assist us with  
3 that. So in the big picture no additional  
4 clarity other than we've already started  
5 discussions with them.

6                               In terms of trolley assist,  
7 so that is effectively the haulage trucks  
8 would be using an overhead trolley line when  
9 they are advancing up steep inclines. In  
10 discussion with two of the main OEMs, original  
11 equipment manufacturers, we have had  
12 discussions with both of them on options and  
13 when to implement those, but those will be  
14 defined in our further mine design.

15                              PANEL MEMBER BRUCE: Are there  
16 any other mitigation measures that you would  
17 like to flag that are potentially that we have  
18 not heard from you on at this point?

19                              MR. ANWYLL: I'll caucus  
20 quickly, if I could, please.

21                              PANEL MEMBER BRUCE: Thank  
22 you.

23                              MR. ANWYLL: Thank you, Panel  
24 Member Bruce.

25                              So in terms of the mine

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 design we are looking at additional  
2 mitigation. At this point in time they haven't  
3 been established to a level where we're ready  
4 to implement them. In terms of the longer  
5 term, we have been speaking to the OEMs on  
6 fully battery fuel cell vehicles which are in  
7 the early stage of design. We have had the  
8 opportunity to have direct conversations with  
9 senior management and the applicability for  
10 our site, but at this point in time that's  
11 still anywhere from 5 to 7 years down the road  
12 before those would be implementable.

13 PANEL MEMBER BRUCE: Okay.  
14 Thank you.

15 MR. ANWYLL: All right.  
16 Excellent.

17 PANEL MEMBER BRUCE: So one  
18 final question and this relates to -- I'll  
19 just find my notes.

20 So Generation PGM highlighted  
21 on slide 22 of the presentation today that  
22 independent benchmarking results show that the  
23 project is less greenhouse gas intensive than  
24 other similar ones in Canada and  
25 internationally.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   Now, I stand to be corrected,  
2 I don't think we have a copy of that  
3 independent assessment.

4                   MR. ANWYLL: Correct. I don't  
5 anticipate you have a copy of that.  
6 UNDERTAKING 24:

7                   PANEL MEMBER BRUCE: So one,  
8 could we get a copy of that. That would be  
9 undertaking 24.

10                  MR. ANWYLL: Understood, yes.

11                  PANEL MEMBER BRUCE: And I  
12 don't know -- if you're not in a position to  
13 answer this right now, we can look at it when  
14 we see the document. But can GenPGM provide  
15 any examples of how your proposed operation  
16 compares to other operations in Canada? And I  
17 don't know if that is a fair question off the  
18 top of your head, but if you can answer it,  
19 that's great.

20                  MR. ANWYLL: It is a fair  
21 question. If I could caucus for a second  
22 quickly to determine a way to best communicate  
23 this to you. So give me a second please.

24                  PANEL MEMBER BRUCE: Thank  
25 you.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MR. ANWYLL: Thank you, Panel  
2 Member Bruce.

3 So in the caucus we were  
4 discussing how best to communicate this. So we  
5 do have the undertaking 24 which we will  
6 certainly deliver the report, and then in that  
7 report what it effectively does is it looks at  
8 the carbon intensity of the operation.

9 What I'll do now is I'll hand  
10 over to Sean Capstick to give you a clarity of  
11 what you're going to see when that document  
12 comes, if that would help.

13 PANEL MEMBER BRUCE: Thank  
14 you.

15 MR. CAPSTICK: Thank you,  
16 Member Bruce. Sean Capstick for the record.

17 So SKARN, S-K-A-R-N, is a  
18 independent U.K.-based firm that benchmarks  
19 mining project for greenhouse gas and water  
20 internationally. So they collect information  
21 from publicly available documents, from direct  
22 sources, for other mining companies they  
23 retain directly in terms of developing these  
24 benchmarks. And what they look at is, you  
25 know, a measure, a comparative measure, so an

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 intensity-type measurement looking at scope 1,  
2 2 and select scope 3 emissions. So how much  
3 energy is used in mining, so different mining  
4 techniques whether it's underground, open pit,  
5 et cetera, where the electricity source is  
6 coming from.

7                                   In Ontario we have a very low  
8 GHG intensive electricity source. So those  
9 scope 2 emissions that I talked about earlier  
10 are low in comparison to some other  
11 jurisdictions, especially international  
12 jurisdictions. And then there's other proxies  
13 they look at for transportation, smelting and  
14 refining.

15                                   So again, depending on where  
16 the concentrate is shipped to, then those  
17 emissions are estimated as well. So it's a  
18 stacked bar graph that provides a height in  
19 terms of the intensity, a width in terms of  
20 the amount of concentrate produced, and it's  
21 stacked from the most efficient to the  
22 highest.

23                                   PANEL MEMBER BRUCE: Okay.  
24 Thank you for that information.

25                                   So I do have just a question

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 on the information that would have been given  
2 to SKARN; I think that is how you pronounced  
3 it. So assumptions presumably would have been  
4 passed on to them about the operation, and I  
5 just want to clarify. Would those assumption  
6 have been that transportation will be by rail  
7 and some indication of the location of the  
8 smelter?

9 MR. CAPSTICK: Can I caucus  
10 for a moment, please.

11 PANEL MEMBER BRUCE: Yes.

12 MR. CAPSTICK: Thank you,  
13 Member Bruce. So it's my understanding that  
14 the information that was passed on to SKARN in  
15 terms of looking at those scope 3 emissions  
16 were transportation of the concentrate by rail  
17 to the Horne smelter that is located in Quebec  
18 and compared to, you know, other locations in  
19 terms of distance and to -- and types of  
20 transportation modes. That's where those  
21 stacked bars are smaller compared to the  
22 piers.

23 PANEL MEMBER BRUCE: Okay.  
24 Thank you.

25 So I'm going to -- I don't

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 have any further questions for GenPGM at this  
2 point in time.

3 I do want to address some  
4 questions or comments to Environment Canada --  
5 sorry, ECCC, and these are questions with  
6 respect to climate change and greenhouse  
7 gases. So noting that ECCC didn't make a  
8 presentation today, I'm not going to -- I'm  
9 going to give you a little bit of time to  
10 answer these over our lunch break. So I have  
11 three questions for you -- actually four  
12 questions.

13 So the first question is does  
14 ECCC agree with GenPGM's characterization for  
15 greenhouse gas impacts as being of low  
16 magnitude and high reversibility? So that's  
17 the first question.

18 If you do not agree, can you  
19 discuss criteria that could be used to  
20 evaluate the importance of environmental  
21 effects from GHG emissions in the context of  
22 the project.

23 My third question is can ECCC  
24 provide examples of additional mitigation  
25 measures, if you have any thoughts on that,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 that would be appropriate for such a mining  
2 operation?

3 And my fourth question is  
4 open-ended. Do you have any comments that you  
5 would like to make on presentations that were  
6 made today or any information that you heard  
7 with respect to air quality impacts.

8 So if you're in a position to  
9 answer when we come, we'll have you start off,  
10 and if you need a, you know, little bit more  
11 time this afternoon, that's fine as well.

12 MR. CLAVERING: Okay. Rob  
13 Clavering, Environment Climate Change Canada  
14 for the record, and that sounds like a good  
15 approach.

16 PANEL MEMBER BRUCE: Okay.  
17 Thank you. So I'm going to turn it back to the  
18 panel chair.

19 PANEL CHAIR: Thanks, Ms.  
20 Bruce, for your questions. So we have a couple  
21 of things to follow up after lunch before we  
22 head back into presentations. So why don't we  
23 come back here at 1:30 to begin the afternoon.  
24 Thank you.

25 --- Recess taken at 12:21 p.m.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 --- Upon resuming at 1:32 p.m.

2 PANEL CHAIR: Mr. Anwyll, I  
3 see you've got your hand up. Go ahead.

4 MR. ANWYLL: Thank you very  
5 much. In reference to Guowang Qiu from MECP,  
6 his question earlier on the kilometres  
7 travelled on page 299.

8 We're prepared to clarify  
9 that if now is the appropriate time. If not,  
10 we can take your cue, Chair Sikora, on when we  
11 should answer Panel Member Bruce's, the detail  
12 of that question. So we can do it now or  
13 later, and we'll take your guidance.

14 PANEL CHAIR: Okay. That's  
15 perfect. Thank you. I was just going to go  
16 through a couple of things, but that was one  
17 of them.

18 So what I thought I would do  
19 is just a quick summary. We will start off --  
20 we may as well start off, Mr. Anwyll, then  
21 with the follow-up for MECP.

22 Before we broke for lunch Ms.  
23 Bruce had questions of Environment Climate  
24 Change Canada, so we'll do a follow-up there,  
25 and I wanted also to just do a quick summary

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 of the undertakings, and I know I mentioned  
2 before lunch we were going to quickly move  
3 into our next group of presentations. We do as  
4 a panel have questions related to noise, so  
5 before we do the next set of presentations we  
6 will be proceeding to our noise questions. So  
7 I just wanted to make that clear.

8                               So with that maybe, Mr.  
9 Anwyll, since you were up, please go ahead  
10 with clarification on the earlier question  
11 today from MECP.

12                              MR. ANWYLL: Thank you very  
13 much. I'll hand back over to Mr. Crooks to  
14 clarify that one.

15                              PANEL CHAIR: Thank you.

16                              MR. CROOKS: Madam Chair, Greg  
17 Crooks for the record.

18                              We went back and looked at  
19 that table that was in question, and the  
20 number for the vehicle kilometres travelled.  
21 And the -- that column on the right hand of  
22 the table is actually mislabelled. It's not  
23 the total vehicle kilometres travelled. It's  
24 vehicles kilometre travelled in a worst-case  
25 hour. So it's -- so that would be less than

1 the total that you would see a 24-hour period  
2 which is why the number is look somewhat lower  
3 because it's only based on an hour as opposed  
4 to the entire 24-hour.

5 PANEL CHAIR: Okay. And with  
6 that explanation I wonder, do we have MECP  
7 still on the line? Oh, there you are.

8 MR. QIU: Yes.

9 PANEL CHAIR: Does that help  
10 clarify your question?

11 MR. QIU: Yeah, that is not  
12 the only one. I just give you the one example.  
13 Actually they have a lot of tables. They are  
14 make this seem -- we can call or maybe else or  
15 didn't do it correctly. So this is only one  
16 example I'm show them. So if they put all  
17 together, then that means, you know, the total  
18 emission will be underestimate. That's all I  
19 can say for now.

20 PANEL CHAIR: So maybe if you  
21 could leave that with me, just before we have  
22 a break. So let me understand. That was an  
23 example. You're citing there are other tables  
24 that potentially have this issue, and the  
25 result of which when corrected for -- if

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 that's the appropriate word or clarified, may  
2 have some direct effects on other  
3 documentation. Is that fair to say?

4 MR. QIU: Yes.

5 PANEL CHAIR: Okay. So let's  
6 -- Generation PGM having heard that we'll come  
7 back maybe just after break this afternoon and  
8 sort through how best to for you to get that  
9 information clarified. Okay? Thank you. Thanks  
10 so much. I appreciate that update.

11 Before we did break for  
12 lunch, Ms. Bruce had four questions for  
13 Environment Climate Change Canada, and I  
14 wonder -- good afternoon, Mr. Clavering.  
15 Welcome back.

16 MR. CLAVERING: Good  
17 afternoon.

18 PANEL CHAIR: And we'll turn  
19 it over to you.

20 MR. CLAVERING: Okay. So Rob  
21 Clavering, Environment and Climate Change  
22 Canada for the record. So thank you panel  
23 members for the question. So I'll go through  
24 them one at a time.

25 With regards to question

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 number one, ECCC does note that GHG emission  
2 are of concern due to their cumulative nature  
3 and that the project's GHG emissions lead to  
4 align with Canada's targets and international  
5 commitments.

6                                   As outlined in our written  
7 submission ECCC considers that mitigation  
8 measures proposed by GenPGM to reduce the GHG  
9 emissions to be minimal at this point and have  
10 recommended that the proponent identify and  
11 incorporate additional mitigation measures  
12 where technically and economically feasible to  
13 avoid or reduce the potential adverse effects  
14 related to GHG emissions.

15                                   With respect to the second  
16 question. Again, as outlined in our written  
17 submission ECCC considers that overall the  
18 proponent's approach GHG emissions estimates  
19 was acceptable and reasonable.

20                                   With regards to question  
21 number 3, ECCC does not have any specific  
22 examples of appropriate mitigation measures  
23 and does defer to the proponent to identify  
24 these measures.

25                                   However, we would like to

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 note that GenPGM may wish to refer to section  
2 5.1.3 of the Strategic Assessment of Climate  
3 Change, also known as the SACC, and the SACC  
4 provides technical guidance to support  
5 proponents in determining best available  
6 technologies and best environmental practices  
7 that could be applied to the project.

8                                   And with regards to question  
9 number 4. I want to thank you for the  
10 opportunity to provide comment, and I can  
11 confirm at this time we do not have any  
12 further comments to provide based on what  
13 we've heard today.

14                                   PANEL MEMBER BRUCE: Thank you  
15 for your responses.

16                                   PANEL CHAIR: Thank you very  
17 much. So I'm just going to do a quick update  
18 on the status of undertakings before we turn  
19 over to panel questions on noise.

20                                   And very quickly, so thank  
21 you for the submission of quite a few more of  
22 the undertakings. That's much appreciated.

23                                   There's just a couple that  
24 hopefully in today Generation PGM number 5 and  
25 number 11, and Ministry of Environment,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Conservation and Parks number 10 and number  
2 16, and then just for the information of  
3 participants.

4                               On Thursday following last  
5 week's session we did provide an undertaking  
6 to Generation PGM and that has been posted to  
7 the registry. It's undertakings 18 to 21  
8 related to caribou presentations from last  
9 week. That's not due until the end of March.  
10 And that's it for the summary. Thank you again  
11 for all the submissions.

12                               With that I will turn over a  
13 questions now to my colleague Ms. Drescher for  
14 noise. Thank you.

15                               PANEL MEMBER DRESCHER: Thank  
16 you, Madam Chair. I have a first question,  
17 please, to GenPGM, Mr. Anwyll.

18                               This is probably about three  
19 or four questions on baseline noise. Could we  
20 please have table 1 from CIAR 950, IR 6-9 put  
21 on the screen, please. If you could please  
22 scroll down to table 1. Yeah, that's good,  
23 right there. Thank you.

24                               So the context here is this  
25 table shows baseline sound levels compared to

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 predicted sound levels for facility operation  
2 steady noise. A map showing the location of  
3 the receptors was provided in CIAR 727,  
4 appendix D2, figure 2. In that figure the  
5 Peninsula Inn, May's Gifts, Laughing Moose  
6 Restaurant and Residence and the Wayfare Inn  
7 appear to be within close proximity of each  
8 other. The baseline sound levels for those  
9 five receptors, however, vary as we can see on  
10 this table here.

11                               So if we were to take, for  
12 example, Wayfare Inn, the baseline sound at  
13 1.5 metres is 53.3, and for Peninsula Inn the  
14 baseline for 1.5 metres is 29.1.

15                               And closer inspection of  
16 figure 2, it would be fair to say that Wayfare  
17 Inn and Peninsula Inn are literally across the  
18 road from each other. So the question is could  
19 an explanation be provided to that, for that  
20 relatively large gap between sound levels.

21                               MR. ANWYLL: All right. Thank  
22 you for the question, Panel Member Drescher.  
23 I'll caucus for a second quickly.

24                               PANEL MEMBER DRESCHER: Thank  
25 you.

1 MR. ANWYLL: Panel Member  
2 Drescher, I'll introduce Mr. Frank Babic to  
3 clarify this.

4 MR. BABIC: Frank Babic for  
5 the record.

6 So with respect to baseline  
7 sound levels in this area, these were defined  
8 from the traffic along the highway. Where we  
9 take that impact is dependent on the  
10 worst-case facade. So the one facade may be  
11 shielded from that impact from that highway  
12 traffic where another facade would be not  
13 shielded. Therefore, you could see a  
14 difference in those baseline noise levels, and  
15 that was accounted for in the detailed noise,  
16 baseline traffic noise model, the TNM model,  
17 that we prepared.

18 PANEL MEMBER DRESCHER: Thank  
19 you for that explanation.

20 Continuing with this table,  
21 so again trying to understand how this table  
22 works. So we have one column that says  
23 "Predicted Project Sound Levels." And let's  
24 take the Wayfare Inn again at 1.5 metre  
25 receptor height. And then the baseline sound,

1 which is indicated as 53.3, and then we see a  
2 project sound level increase over baseline as  
3 being minus 7.2.

4                                Could you describe for us  
5 what a minus 7.2 means relative to the noise  
6 that one would hear?

7                                MR. BABIC: Yes. Thank you. I  
8 would like to clarify what the comparison is.  
9 Comparison in this table is not an increase.  
10 It is a comparison of absolute values.

11                               So the predicted is an  
12 absolute value of 46. The baseline is an  
13 absolute value of 53. And as the IO was  
14 requesting what was the change; what's the  
15 difference. That is simply a mathematical  
16 addition. We have not added the 46 to the 53  
17 as an increase, for clarification.

18                               PANEL MEMBER DRESCHER: Yeah,  
19 I appreciate that. Thank you. I'm still trying  
20 to understand what minus 7.2 means.

21                               MR. BABIC: Oh, that the --  
22 that the predicted sound level of 46 is 7.2 dB  
23 lower than the existing background level  
24 expected from our noise modelling.

25                               PANEL MEMBER DRESCHER: Right.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 So in other -- what does that mean in terms of  
2 a person hearing noise at let's say the  
3 Wayfare Inn?

4 MR. BABIC: Okay. So as sort  
5 of rough numbers, if you're anywhere 10  
6 decibels or lower than an existing background  
7 level, you would not actually perceive or hear  
8 the noise level. We're close to 7, so you  
9 might mildly hear that noise, but it wouldn't  
10 be significantly increasing or adding to the  
11 existing background noise for this example.

12 PANEL MEMBER DRESCHER: Okay.  
13 So recognizing that dBA is a logarithmic  
14 scale, and I understand that they're absolute  
15 values, you're -- if I understand this  
16 correctly, and let's take the Peninsula Inn,  
17 for example, which is a predicted sound level  
18 of 47.3 at 1.5 metres, and then the actual  
19 daytime baseline is 29.1, so in that  
20 particular case you would have a significant,  
21 potentially significant increase in noise at  
22 that particular facility.

23 MR. BABIC: Agreed. At that  
24 particular facility the dominant source would  
25 now be the predicted sound levels versus the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 background as it's shown as the quieter 29.

2 PANEL MEMBER DRESCHER: And  
3 where you indicated the worst-case facade,  
4 what is the worst-case facade considered to  
5 be?

6 MR. BABIC: The worst case  
7 facade is the worst-case impact from the  
8 project; the one that is closest facing to the  
9 project.

10 PANEL MEMBER DRESCHER:  
11 Closest facing to the project?

12 MR. BABIC: Yes.

13 PANEL MEMBER DRESCHER: Okay.  
14 Thank you very much.

15 My next question has to do  
16 with truck travel worst-case scenario. Can I  
17 direct it to you, Mr. Babic?

18 MR. BABIC: Yes.

19 PANEL MEMBER DRESCHER: Yes.  
20 Okay. Thank you.

21 So GenPGM assumed 30 trucks a  
22 day would carry concentrate to the rail  
23 loadout facility when assessing project  
24 traffic noise, and that is CIAR 727, appendix  
25 D2, page 19.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                               In response to IR number 3,  
2 ore processing, GenPGM indicated that  
3 additional truckloads of concentrate that may  
4 leave the site should magnetic separation  
5 become economically viable in the future were  
6 accounted for in the accidents and malfunction  
7 scenarios through the consideration of up to  
8 50 trucks. So that's 10 for the copper PGM  
9 concentrate plus an additional 40 for other  
10 possible concentrates. And that comes from  
11 CIAR 749, IR 3, PDF page 6.

12                               However, in response to  
13 undertaking 1 GenPGM indicated that in the  
14 event that a vanadium magnetite concentrate  
15 was to be produced up to an additional  
16 estimated 30 truckloads of concentrate may  
17 leave the site on a daily basis. So just a  
18 little bit confused here.

19                               Does that mean that that is  
20 an additional 70 trucks to the 10 that are  
21 already anticipated? In other words, what is  
22 the actual number that is being used for the  
23 worst case given these numbers that I've just  
24 read out?

25                               MR. BABIC: Thank you. I would

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 like to take a moment to caucus.

2 PANEL MEMBER DRESCHER: Thank  
3 you.

4 MR. BABIC: Frank Babic for  
5 the record. So I can clarify that for  
6 modelling purposes of the noise impacts we  
7 provided a 30-truck-per-day daytime noise  
8 impact.

9 PANEL MEMBER DRESCHER: Sorry,  
10 was that for your worst case?

11 MR. BABIC: For our worst  
12 noise modelling case, yes.

13 PANEL MEMBER DRESCHER: So the  
14 50 trucks were not actually modelled.

15 MR. BABIC: We did not model  
16 more than 30 trucks; that's correct.

17 PANEL MEMBER DRESCHER: Okay.  
18 And could you indicate for us, please, what is  
19 the frequency of trucks passing per hour in  
20 the Town of Marathon?

21 MR. BABIC: Request a moment  
22 to caucus.

23 PANEL MEMBER DRESCHER: Thank  
24 you.

25 MR. BABIC: Frank Babic for

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the record. So we've confirmed that for the  
2 truck modelling we had two peak hours of ten  
3 trucks within that hour, first hour being from  
4 7:00 a.m. to 8 a.m., and the other one from  
5 7:00 p.m. to 8:00 p.m., and the other trucks  
6 were evenly distributed throughout the day  
7 after that.

8                               PANEL MEMBER DRESCHER: Okay.  
9 So I'm still struggling a little bit here with  
10 the numbers. You did not model 50 trucks per  
11 day, but this was indicated in an IR response.  
12 So are the 50 trucks a possibility or is that  
13 whole consideration of the concentrates no  
14 longer viable?

15                              MR. BABIC: I will pass it to  
16 Generation PGM regarding the operation of the  
17 trucks, and I'll just take a moment to caucus.

18                              PANEL MEMBER DRESCHER: Thank  
19 you.

20                              MR. BABIC: Frank Babic for  
21 the record.

22                              PANEL MEMBER DRESCHER: Thank  
23 you.

24                              MR. BABIC: Thank you. And  
25 I've confirmed that we would be having the 10

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 concentrate trucks and the 30 magnetite trucks  
2 which provides an underestimation in our noise  
3 impact. We had 30, and we would expect 40 is  
4 my understanding.

5                                   One, this would be a slight  
6 increase to our predicted noise levels.  
7 However, also looking at the table of impacts,  
8 we are still significantly below the 65  
9 decibel criteria and significantly below the 5  
10 decibel change. Both of those need to be  
11 triggered with respect to consideration for  
12 mitigation. So we would expect an adjustment  
13 for the 30 to 40 but likely still be below the  
14 criteria.

15                                   PANEL MEMBER DRESCHER: Okay.  
16 Thank you for that clarification. So again, if  
17 we're now looking at 40 trucks, we do the same  
18 calculation that you provided earlier which is  
19 between 7:00 and 8:00 a.m. in the morning.  
20 That would be the highest volume of trucks  
21 going through the town which would be  
22 equivalent to I believe you said two per hour?

23                                   MR. BABIC: At peak hours we  
24 had 10, and then we had distributed between --  
25 about one truck per hour approximately.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PANEL MEMBER DRESCHER: Okay.  
2 Sorry. That's 10. So that 10 will still hold,  
3 and then the other 30 will be distributed out  
4 through the rest of the day?

5 MR. BABIC: Correct.

6 PANEL MEMBER DRESCHER: Okay.  
7 Thank you. Thanks for that clarification.  
8 Okay. So my the next question is please to  
9 Health Canada. Thank you, Mr. Babic.

10 Ms. Ma, thank you very much.  
11 In your submission and in your presentation  
12 this morning, and particularly in your  
13 presentation this morning, your recommendation  
14 was that the proponent should be asked to  
15 recalculate the changes of percent highly  
16 annoyed for all project phases to account for  
17 all noise sources and adjustment factors.

18 I was wondering if you could  
19 specify very clearly what you mean by all  
20 noise sources and the adjustment factors so  
21 that we have, like, something specific on the  
22 record.

23 MS. MA: Thank you for your  
24 question. I would like to take a few moments  
25 to caucus with my team.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 PANEL MEMBER DRESCHER:

2 Certainly, thank you.

3 MS. MA: Thank you. Thank you,  
4 Panel Member, for your question. I would like  
5 to invite Dr. Stephen Keith to answer your  
6 question.

7 PANEL MEMBER DRESCHER: Thank  
8 you.

9 MS. MA: Thank you.

10 PANEL MEMBER DRESCHER: Go  
11 ahead, Dr. Keith.

12 MR. KEITH: Okay. Thank you,  
13 Panel Member Drescher, for your question.  
14 Stephen Keith for the record.

15 The proponent has included  
16 basically three sources separately in  
17 calculating the percent highly annoyed. That  
18 would be truck traffic, mining-related noise  
19 and the rail loadout. We would like those to  
20 be included together because we look at the  
21 entire noise environment when we do our  
22 evaluation, and if there are locations where  
23 the sources can add together, then that makes  
24 it easier to see when all sources are  
25 considered together.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   There are also adjustments  
2 that we applied to the sources. Truck traffic  
3 would not get an adjustment, but, for example,  
4 at the rail loadout facility the coupling  
5 noise which can be highly impulsive we would  
6 say it deserves a 12 dB penalty, and that's  
7 only because the metric that is used, a  
8 long-term average, isn't very good at -- when  
9 it's used for a short term event.

10                   So we add an adjustment to  
11 account for a long-term average being used to  
12 measure a short term event, and that  
13 adjustment we recommend is 12 dB. Now, I  
14 believe the proponent has used only a 5 dB  
15 adjustment for that, for the rail loadout.

16                   And for backup alarms for the  
17 trucks if those backup alarms are tonal, we  
18 would also recommend a 5 dB adjustment be  
19 applied to them because the tonal noise can be  
20 more intrusive or more noticeable than other  
21 noises at the same level.

22                   There's also air ventilation  
23 which depending on the characteristics of the  
24 noise may deserve an adjustment, but basically  
25 if it's not tonal there would normally not be

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 an adjustment for that unless it was -- had  
2 low frequency noise, a strong low frequency  
3 noise component.

4                                   And that would be it except  
5 for the mine noise, the blasting noise. There  
6 is -- there are adjustments that could be  
7 applied to the blasting noise from the mining  
8 operations, but those -- Health Canada is  
9 willing to accept the proponent's use of the  
10 Ontario criteria, so we are not advocating the  
11 use of an adjustment for the blasting noise at  
12 this point. And that would be my summary of  
13 this issue, thank you.

14                                   PANEL MEMBER DRESCHER: Okay.  
15 Thank you very much, Dr. Keith.

16                                   The next question that I have  
17 is to GenPGM, please. Mr. Babic, could you  
18 comment on these adjustment factors? I know  
19 that you have provided a response in an IR to  
20 the first round of questions that Health  
21 Canada provided on this particular topic, and  
22 I was wondering if you could follow up on  
23 these ones, please?

24                                   MR. BABIC: I'll just take a  
25 brief moment to caucus.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 Thank you very much for your  
2 consideration.

3 I will go through the various  
4 elements that were presented by Dr. Keith  
5 here. The first one being the separation of  
6 the truck noise, the mining noise and the rail  
7 noise.

8 First of all, truck noise is  
9 a general impact generally associated with its  
10 assessment to other types of transportation  
11 noise, and it's typically separated out due to  
12 its specific type of impact. That's the  
13 approach that we did take.

14 The mining and rail  
15 facilities are significantly far enough from  
16 each other, kilometres away such that any  
17 impact from one is relatively negligible or  
18 non-existent to the other. So contention about  
19 combining the sources, we don't expect any  
20 significant increase or change to our results  
21 on that basis.

22 Now, moving to the  
23 adjustments discussion. Dr. Keith recommends  
24 or suggests a plus 12 coupling noise  
25 adjustment. This is incorrect. This is with

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 regard to shunting, not coupling. The  
2 difference being in a rail loadout facility  
3 shunting is the act of driving a train car  
4 into, in other words, a high impact.

5                   If you see videos, it is like  
6 10, 20 kilometres; they push these cars  
7 together, very high impact. Therefore, in that  
8 case definitely would be a case. We did  
9 provide in our IR response that there is no  
10 shunting. There is coupling. This is a small  
11 -- smaller noise impact from -- as the couples  
12 come together. Therefore, we apply the plus 5  
13 as has been done in other rail facilities in  
14 my experience. So we disagree on that basis  
15 that it's not applicable in this case.

16                   PANEL MEMBER DRESCHER: Could  
17 I just ask for just -- you started talking  
18 about it. Could you just describe coupling for  
19 the record, please?

20                   MR. BABIC: Yes. So when you  
21 have a train and it just starts off, the  
22 connections will sometimes just do a small  
23 slip called a coupling.

24                   PANEL MEMBER DRESCHER: Okay.  
25 Okay. Thank you. In anticipation of going back

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 to Health Canada and asking them if they have  
2 any additional mitigation measures that they  
3 would recommend, would you like the  
4 opportunity to identify any additional  
5 mitigation measures in this particular case?

6 MR. BABIC: Not with respect  
7 to this case at this time.

8 PANEL MEMBER DRESCHER: Okay.  
9 Thank you. If I could have Health Canada back,  
10 please. Thank you, Ms. Ma.

11 So the question is, if the  
12 noise levels have been underestimated in your  
13 opinion, which is not shared by Generation  
14 PGM, just generally do you recommend any  
15 additional mitigation measures that the  
16 company could undertake at this time or could  
17 include in their overall assessment?

18 MS. MA: Thank you for your  
19 question. I'll take it back with the team.

20 PANEL MEMBER DRESCHER: So you  
21 would like me to repeat it?

22 MS. MA: Oh, no, sorry. I  
23 would like a few minutes to caucus with the  
24 team.

25 PANEL MEMBER DRESCHER: Okay.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MS. MA: Thank you. Thank you  
2 for waiting, panel members. I would like to  
3 invite Dr. David Michaud to answer this  
4 question.

5 PANEL MEMBER DRESCHER: Thank  
6 you. Go ahead, Dr. Michaud.

7 MR. MICHAUD: Thank you for  
8 the question. David Michaud for the record.  
9 I'll just start off by saying that I think we  
10 still have some disagreement with respect to  
11 coupling being highly impulsive or not, but  
12 we'll let that sit for now.

13 With respect to your specific  
14 question about potential ongoing mitigation.  
15 Given the uncertainty always exists with  
16 estimating project-related sound levels,  
17 Health Canada feels that it's probably best to  
18 have in place a very strong community  
19 consultation process that itself can serve as  
20 a form of noise mitigation if there are any  
21 project-related concerns that arise. Something  
22 that is transparent that community members  
23 know how to use where noise-related complaints  
24 will be readily identified and addressed, and  
25 these would extend to things, you know,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 related to sleep.

2                                 In our submission, we  
3 specifically mention that there is a  
4 significant percentage of people that sleep  
5 outside the hours of 11:00 p.m. to 7:00 a.m.,  
6 so project-related concerns with respect to  
7 sleep would be something to emphasize in a  
8 community consultation plan. So that, you  
9 know, in essence would be what we would fall  
10 back on to avoid any project-related noise  
11 concerns given some ongoing uncertainties in  
12 other areas.

13                                 PANEL MEMBER DRESCHER: Okay.  
14 Thank you very much for your clarification and  
15 for your addition to mitigation measures. I  
16 appreciate it. Thank you.

17                                 Ms. Ma, just one other  
18 clarification point, if I may. There were --  
19 actually in your hearing submission there were  
20 three points. One was covering the or  
21 combining the noises together. The second  
22 point was addressing intermittent noise  
23 sources.

24                                 Could you provide an  
25 indication of what that means, or if that is

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 already taken into consideration in the  
2 adjustments/in the combining of the two.

3 MS. MA: Thank you for your  
4 question. I'll take a few moments to caucus  
5 with the team.

6 PANEL MEMBER DRESCHER: Thank  
7 you.

8 MS. MA: Thank you. Thank you  
9 very much for the question. I would like to  
10 invite Dr. Stephen Keith to answer your  
11 question.

12 PANEL MEMBER DRESCHER: Go  
13 ahead, Dr. Keith.

14 MR. KEITH: Thank you, Panel  
15 Member Drescher. Stephen Keith for the record.

16 The intermittent noise  
17 sources that I'm referring -- that are  
18 referred to in Health Canada submission would  
19 include things like coupling noise, however  
20 you choose to define that, and that's  
21 accounted for by the adjustments. And because  
22 there's more annoyance due to short term  
23 events when they are evaluated over the  
24 long-term with a long-term average that means  
25 you need to have an adjustment.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   So the intermittent sources  
2    have more impact on people, and that's  
3    accounted for by the adjustments and that's  
4    basically it. Thank you.

5                   PANEL MEMBER DRESCHER: Okay.  
6    Thank you very much for your explanation.  
7    Thanks, Dr. Keith. Okay. Thank you very much,  
8    Ms. Ma. That's -- I would like to back to  
9    GenPGM now, please.

10                  Mr. Babic, so this is -- this  
11   question -- questions relate specifically to  
12   Bamoos Lake and Pic River as noise receptors.

13                  GenPGM has predicted that the  
14   project would increase noise levels at Bamoos  
15   Lake and Pic River, two receptors that  
16   represent areas where Indigenous communities  
17   practice current use. Even though the  
18   predicted sound levels would be below the MECP  
19   and Health Canada thresholds for noise, the  
20   change in noise level at the Pic River  
21   receptor is particularly high in comparison to  
22   all of the other sensitive noise receptors  
23   GenPGM has assessed. And this I'm referring to  
24   CIAR 950, IR 610, PDF page 4.

25                  So just so that we can

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 understand from what noise effects are that  
2 are felt by a human being, could you  
3 characterize the type of noise that a person  
4 would experience at the Pic River and Bamooos  
5 Lake receptors?

6                               So for clarity, from the  
7 perspective of an individual being on a lake  
8 or a river seeking solitude, for example, what  
9 would they hear during project construction  
10 and project operations.

11                              MR. BABIC: Thank you very  
12 much for your question. I would just like to  
13 take a moment to caucus to review the specific  
14 numbers at Pic River.

15                              PANEL MEMBER DRESCHER: Thank  
16 you.

17                              MR. BABIC: Thank you. Sorry,  
18 I was on mute there for a second.

19                              So to provide some context I  
20 just quickly reviewed the operational noise  
21 levels. I think construction is about the  
22 same. At Pic River if you're an individual and  
23 two people were talking, they talk about 65  
24 decibels standard conversational. We are  
25 predicting a noise level of about 40, so four

1 times quieter. So consider a whisper-type  
2 noise, but it would be inaudible to say drone  
3 of the operating mine and the construction.  
4 It's 12 decibels higher than the existing, so  
5 therefore it's noticeable over the existing,  
6 but that's I think a best characterization, a  
7 quiet consistent droning of the mine  
8 operations or construction.

9 PANEL MEMBER DRESCHER: Okay.  
10 Thank you. Would -- so where we're just on  
11 that, and that comparison that's very helpful.  
12 Thank you. How do you think that would apply  
13 to blasting? Same person, same situation, what  
14 would they experience from a blast?

15 MR. BABIC: Thank you. I just  
16 want to review the specific blasting level and  
17 then provide it. A moment to caucus to review  
18 that.

19 PANEL MEMBER DRESCHER: Thank  
20 you.

21 MR. BABIC: Thank you, Panel  
22 Member Drescher. I appreciate it.

23 So can you reiterate the  
24 question so -- for clarity?

25 PANEL MEMBER DRESCHER: Okay.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 So you answered the question of what somebody  
2 would experience on the Pic River from  
3 construction and operation noise, and you said  
4 that was 40 decibels is my recollection.

5 MR. BABIC: Yes.

6 PANEL MEMBER DRESCHER: And  
7 then I asked what would somebody in the same  
8 situation experience from blasting? And I  
9 understand that there's a -- I'll just add a  
10 little bit more context for you. There's a  
11 setback distance of a thousand metres I  
12 believe is what was indicated this morning,  
13 and the Pic River is some distance beyond  
14 that.

15 However, it is -- there are  
16 two components to blasting; one is the noise  
17 component and the other is the effect or the  
18 percussion, for want of a better term,  
19 experience. So I'm just trying to understand  
20 what somebody would experience if they are  
21 seeking that quiet and solitude recognizing  
22 that there is a constant droning in the  
23 background.

24 MR. BABIC: Thank you. So we  
25 did take a look at the distance. As you said

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 it's beyond 1,000 metres, somewhere 1,000 to  
2 1,500. We provided some IR responses, 610,  
3 where we said at about a kilometre away we get  
4 125 decibels, and let's say somewhere around  
5 120 if you are going beyond that. But I also  
6 want to clarify what this decibel means  
7 because there's always confusion.

8                   This is an overpressure  
9 decibel. It's different than the hearing  
10 decibel. So for -- just for clarification, you  
11 could measure a blast at 120 decibels. That  
12 would be a mild breeze felt, about 10, 20  
13 kilometres, kind of wind versus 120, 130  
14 decibels is roaring jet engine noise. So they  
15 are very different scales, and I just want to  
16 provide a context for that so we're  
17 understanding, you know, your question to what  
18 is being experienced.

19                   So first one being that  
20 concussive overpressure noise -- wave, I guess  
21 is the best way to determine it. We provided  
22 sort of a table in our IR response 611, table  
23 3. At between 90 and 120 we get what's called  
24 a mildly unpleasant felt sound or the air  
25 pressure change from that.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   So likely by that distance  
2 someone could possibly still feel some of the  
3 air pressure change from the blast. Wouldn't  
4 be significant, but it would be noticeable.

5                   PANEL MEMBER DRESCHER: Okay.  
6 Okay. Thank you for that clarification.

7                   While we're just on blasting,  
8 how frequently -- I know this has been  
9 answered before, but I'm lining up for the  
10 rest of it. How frequently would blasting be  
11 expected to occur, and more to the time, would  
12 there be specific times that GenPGM could  
13 advise people of blasting potential so that  
14 they know what to expect?

15                  MR. BABIC: My understanding  
16 is it's a once-per-day blast for operational  
17 blasting, and I expect there would be a  
18 communication to that or to make residents  
19 know.

20                  PANEL MEMBER DRESCHER: Okay.  
21 Could we have confirmation of that, though,  
22 please?

23                  MR. BABIC: I can provide  
24 confirmation. Just one moment.

25                  PANEL MEMBER DRESCHER: Thank

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 you.

2 MR. DART: Thank you for the  
3 question, Panel Member Drescher. This is  
4 Jeremy Dart for the record. I'm going to  
5 answer this question related to blasting and  
6 notification.

7 So yes, I can confirm that  
8 blasting will occur typically once a day and  
9 that GenPGM will be establishing blasting  
10 notification protocols for the public as the  
11 project progresses.

12 PANEL MEMBER DRESCHER: Okay.  
13 Thank you very much, Mr. Dart.

14 Okay. One last question on  
15 Indigenous receptors, and this is just a point  
16 of clarification. GenPGM stated in CIAR number  
17 50, IR 6-13, page 2, PDF page 2, that the  
18 highest percent highly annoyed at a noise  
19 sensitive receptor for the project was 2.4  
20 percent. However, it seems in this response  
21 did not consider the new Indigenous receptors  
22 that were included in information request 6-10  
23 of the same IR package in which the Pic River  
24 noise-sensitive receptor is indicated as 4.1  
25 percent. Could you provide an explanation,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 please?

2 MR. BABIC: Thank you. I  
3 believe that it was simply an oversight. You  
4 are correct that it's -- the Indigenous is the  
5 highest at 4.

6 PANEL MEMBER DRESCHER: It is  
7 at 4.1?

8 MR. BABIC: Yes.

9 PANEL MEMBER DRESCHER: Okay.  
10 Thank you very much. Okay. Moving on to  
11 mitigation measures.

12 Could we please bring up  
13 table 6.1.2 of the EIS addendum, CIAR 727,  
14 appendix D2, PDF page 32, please. Would you  
15 mind zooming in on it a bit, please. Okay.  
16 Thank you.

17 So my first question is to  
18 MECP, please. Hello, Mr. Smith.

19 MR. SMITH: Hello.

20 PANEL MEMBER DRESCHER: So in  
21 that shows that the construction traffic  
22 notice, and we can see for Wayfare Inn,  
23 Laughing Moose Restaurant and Residence, R1  
24 residence and Berganini (ph) apartment rental,  
25 the baseline is higher than 55 dBA. Project

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 predictions increase those values by less than  
2 one decibel.

3                               A similar situation is  
4 illustrated in tables showing noise operations  
5 traffic noises at pages 34 and 35. For many of  
6 the receptors construction and operation truck  
7 traffic noise is predicted to be higher than  
8 the MECP noise limit of 55.

9                               However, GenPGM indicated  
10 that since Highway 17 is a provincial highway  
11 and Peninsula Road is a former provincial  
12 highway, it used the Ministry of  
13 Transportation guide to assess highway traffic  
14 noise. And for reference Peninsula Road is the  
15 one that travels into Marathon, leads into  
16 Marathon.

17                              According to the MTO guide  
18 noise mitigation is not required when the  
19 predicted noise level for a highway is less  
20 than 65 dBA, and the increase in traffic noise  
21 predicted for the proposed project is less  
22 than 5 dB. GenPGM indicated that using the 65  
23 dBA noise limit will be excessive for the  
24 entire travel route in the Town of Marathon.  
25 Instead, it used the MECP guideline of 55 but

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 determined that mitigation would only be  
2 required if a 5-decibel increase in road  
3 traffic was predicted to the project's  
4 effects.

5                   In you're hearing submission  
6 -- in MECP's hearing submission you indicated  
7 that the predicted noise impact will be  
8 compliant with MECP Ministry of  
9 Transportation's noise protocol for road  
10 traffic when the facility is fully functional.

11                   So the first question we have  
12 is if traffic noise surpasses 55 dBA, the MECP  
13 criteria -- which is the MECP criteria, is  
14 that considered an exceedance and is that a  
15 significant level for MECP?

16                   MR. SMITH: I think the  
17 proponent's analysis is consistent with the  
18 MTO policy which is that traffic noise is not  
19 going to exceed 65 and/or the traffic noise  
20 impact is not going to be more than 5  
21 decibels. So they appear to be compliant.

22                   PANEL MEMBER DRESCHER: With  
23 MTO?

24                   MR. SMITH: With MTO, yes.

25                   PANEL MEMBER DRESCHER: Does

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MECP have any concerns with this in their  
2 application?

3 MR. SMITH: No, we generally  
4 don't consider traffic noise as part of a  
5 large mining environmental assessment. The  
6 GenPGM study has gone above and beyond which  
7 we usually expect for traffic noise  
8 assessment.

9 PANEL MEMBER DRESCHER: Thank  
10 you very much for that clarification. I would  
11 like to go back to GenPGM, please.

12 Mr. Babic, GenPGM committed  
13 to purchasing vehicles and equipment that need  
14 the applicable noise suppression regulations  
15 to mitigate potential project effects from  
16 noise. This is CIAR 727, chapter 8, PDF 18.  
17 Could you provide the difference in decibels  
18 that will be achieved with the proposed  
19 mitigation.

20 MR. BABIC: Thank you, and I  
21 request an opportunity to caucus.

22 PANEL MEMBER DRESCHER: Thank  
23 you.

24 MR. BABIC: Thank you for your  
25 question. Do you mind restating the question

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 once more.

2 PANEL MEMBER DRESCHER: Could  
3 you provide the difference in decibels that  
4 will be achieved with proposed mitigation. In  
5 other words, you had committed to purchasing  
6 vehicles and equipment that meet the  
7 applicable noise suppression regulations to  
8 mitigate potential effects.

9 MR. BABIC: Correct. So just  
10 to understand the question, if we apply these  
11 what is the additional noise reduction we  
12 would expect with these regulations?

13 PANEL MEMBER DRESCHER: Yes.

14 MR. BABIC: So we did not  
15 model to the noise regulations. We used the  
16 applicable reference and manufacture data, and  
17 it would be speculative at this moment to see  
18 how much of a reduction, if any, we would see  
19 with those noise regulations.

20 PANEL MEMBER DRESCHER: Thank  
21 you. But just where we're on water and noise  
22 reduction, or suppression, could you describe  
23 what you are proposing in terms of noise  
24 suppression and how would you increase noise  
25 suppression if ambient noise levels were found

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 to exceed regulatory criteria.

2 MR. BABIC: I'll just take a  
3 moment to caucus. Thank you.

4 MR. BARRETTO: I just wanted  
5 to let the panel know we can hear your  
6 deliberations slightly, just while Mr. Babic  
7 is caucusing. I apologize for interrupting.

8 PANEL MEMBER DRESCHER: I  
9 appreciate it. Thank you.

10 MR. BABIC: In the event we  
11 see exceedances to any criteria we would look  
12 at the site-specific issue as well as usually  
13 operational restrictions or conditions as well  
14 as physical; a combination thereof the two  
15 would be considered.

16 PANEL MEMBER DRESCHER: Okay,  
17 thank you. I would like to move on to rail  
18 loadout facility again, please.

19 So just so we have a better  
20 understanding of how the rail loadout facility  
21 works, we had established in an earlier  
22 comment that the 10 trucks would appear  
23 somewhere between 7:00 and 8:00 a.m. in the  
24 morning, and then whatever trucks are remain  
25 would appear over the balance of the day. And

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 the balance of the day is -- sorry, the  
2 operation of the rail loadout facility for the  
3 daytime is considered to be 7:00 to 11:00 p.m.  
4 -- 7:00 a.m. to 11:00 p.m. Do I have that  
5 correct?

6 MR. BABIC: That is correct.

7 PANEL MEMBER DRESCHER: So the  
8 trucks appear. Could you just walk us through,  
9 please, what an average day at the facility  
10 would look like so that we can gauge when  
11 noise effects would take place. For example,  
12 coupling, movement of locomotives, movement of  
13 cars, just so we have an understanding of the  
14 types of noises and whether it's consistent  
15 noise all the way through, whether it's  
16 intermittent, what the town of Marathon could  
17 expect.

18 MR. BABIC: Thank you, and  
19 I'll just take a moment to caucus. Thank you  
20 very much for your consideration.

21 So we are going to present  
22 this in a two-part response with one being how  
23 -- okay, first of all, we haven't finalized  
24 the location but we have assessed it within  
25 the town of Marathon.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   On the basis of that  
2 location, we -- I'm going to discuss the  
3 predictive analysis which is a worst case  
4 conceptual impact and sources, which was I  
5 think one of your questions about the noise  
6 sources. And then GenPGM will talk about the  
7 actual operating routine for context, if  
8 that's okay. Thank you.

9                   So with respect to a  
10 predictive noise model, we don't address the  
11 rail loadout as a facility on a daytime basis;  
12 we actually use a worst case hour. This is  
13 similar approach -- the approach the Ministry  
14 of Environment has provided. So within that  
15 worst case hour we identify all potential  
16 noise sources in that worst case hour that  
17 could be happening.

18                   So even if during the day  
19 those are spread out, we look at it if they  
20 happened all at the same time. This provides  
21 what the Ministry in their guidance calls a  
22 predictable worst case such that the actual  
23 impact would be no greater than that  
24 condition.

25                   With respect to noise

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 sources, we actually provide those in our --  
2 in noise and vibration report. We have the  
3 rail loadout facility and we identified all of  
4 the noise sources in that table page 88. We  
5 have dust collectors on the building. Track  
6 mobile units. The coupling noises that we were  
7 identifying and discussing earlier. We have --  
8 just a minute here. And of the various trucks  
9 as they go around the facility as well.

10 So all of those have been  
11 considered in the predictable worst case  
12 notice impact.

13 Now I will turn it over to  
14 Generation PGM to discuss the daily  
15 operations.

16 MR. ANWYLL: Thanks, Frank. So  
17 Drew Anwyll for the record, Panel Member  
18 Drescher.

19 So the details of the  
20 operation are as outlined in CIAR 727 section  
21 1.5.6.3 so there will be probably a little  
22 more clarity, but I'll generally walk you  
23 through how the processes should go.

24 So for the copper concentrate  
25 that will be moved from site, that will be

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 moved from trucks from the plant building  
2 itself to the loadout location. The building  
3 will be a sealed building. So the truck will  
4 effectively drive in, the doors will close, it  
5 will side dump into the loadout area. That  
6 loadout area has a small loader that will pick  
7 up the concentrate and deposit it into a rail  
8 car. The rail car will have a hood that will  
9 be -- after the rail car is full it will be  
10 covered and it will be moved along the line.  
11 CP, which is the group that we would -- that's  
12 a CP line. So that would typically be moved,  
13 again details to be finalized with them  
14 specifically, but at this point we would  
15 assume between one to two -- two to three  
16 times a week they would collect those rail  
17 cars and move them off-site.

18                   The building itself would be  
19 sealed from the rail cars and the trucks  
20 coming in. The loader will be contained within  
21 that building and that would be dust  
22 suppression that would be included in those --  
23 that building itself.

24                   PANEL MEMBER DRESCHER: I  
25 understood that most of the activity with

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 respect to the rail loadout facility was going  
2 to occur inside of a building except for two  
3 or three times a week when a train was  
4 actually going to leave.

5 MR. ANWYLL: When the CP train  
6 would collect the cars that had been loaded,  
7 correct.

8 PANEL MEMBER DRESCHER: And it  
9 would go off-site at that point.

10 MR. ANWYLL: Correct.

11 PANEL MEMBER DRESCHER: So  
12 thank you for that clarification. It's much  
13 appreciated.

14 The next question that I have  
15 though is with respect to the timing of  
16 various activities. So the timing of that  
17 exercise that you just described, starting at  
18 7:00 o'clock in the morning goes until 11:00  
19 o'clock at night each day?

20 MR. BABIC: I'll caucus for  
21 one second quickly, if I could, Panel Member.

22 We've had an opportunity to  
23 discuss the daytime impact from the 7:00 a.m.  
24 to the 11:00 p.m. From a modelling impact  
25 point of view we assessed that worst case hour

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 as occurring over every hour over that time  
2 period. So we know that operationally won't  
3 happen that way but we know from an impact  
4 point of view we have addressed that, and thus  
5 the daily impact would be likely lower than  
6 predicted.

7 PANEL MEMBER DRESCHER: Thank  
8 you for that clarification. Can we just switch  
9 to what happens between 11:00 a.m. and 7:00  
10 p.m.

11 MR. BABIC: Yes, we understand  
12 that there is no activity happening during  
13 that period, therefore no impacts for the  
14 Generation PGM rail loadout facility.

15 PANEL MEMBER DRESCHER: Okay.  
16 And one other quick question is the scheduling  
17 of concrete delivery times.

18 There was a commitment made  
19 on chapter 8 of the EIS addendum, PDF page 18  
20 that these delivery times would be at times of  
21 the day to reduce complaints whenever  
22 possible. When would it not be possible when a  
23 complaint is received?

24 MR. BABIC: Thank you. I'll  
25 just request a moment to caucus.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 MR. DART: Thank you for the  
2 question. Jeremy Dart for the record.

3 So with respect to given  
4 truck traffic and having to change up our  
5 planning, that could really occur, say, for  
6 instance, if at our processing facility at the  
7 project site our concentrate area was full, so  
8 then we would have to consider moving a truck  
9 of concentrate down to the rail loadout due to  
10 the fact that we wouldn't have adequate  
11 storage at the processing site. So that would  
12 be a one-off if we did run into a situation  
13 like that.

14 PANEL MEMBER DRESCHER: Thank  
15 you. I think what we'll do, I'll turn it back  
16 over to Madam Chair.

17 PANEL CHAIR: Thank you. I  
18 think, given the hour, we'll take a 15-minute  
19 break and return at 3:45 and we'll continue  
20 questions on noise from the panel.

21 MAYOR DUMAS: Madam Chair,  
22 good afternoon. We were on the schedule to  
23 speak today. We will have to ask for our  
24 schedule to be first thing in the morning if  
25 possible. We have a planned council meeting.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 We have to be there for 3:45. Our council  
2 meeting starts at 4:00 p.m. so we will not be  
3 able to address the panel this afternoon on  
4 the economic and socioeconomic impact.

5 PANEL CHAIR: Thank you, Mayor  
6 Dumas. You've indicated you are available  
7 tomorrow morning?

8 MAYOR DUMAS: Yes, that would  
9 be great if we could do that presentation  
10 first thing tomorrow morning.

11 PANEL CHAIR: Thank you very  
12 much for that information. We appreciate your  
13 flexibility. Thank you.

14 MAYOR DUMAS: Thank you and  
15 hope to see you in the morning. Thanks.

16 PANEL CHAIR: Take care.

17 --- Recess taken at 3:30 p.m.

18 --- Upon resuming at 3:46 p.m.

19 PANEL CHAIR: Welcome back,  
20 everyone. I will turn it back to Ms. Drescher  
21 to continue her questions on noise.

22 PANEL MEMBER DRESCHER: Thank  
23 you, Madam Chair. So just in continuing on the  
24 rail loadout facility, if we could, please.

25 So we understand that, based

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 on your earlier comments, there will be 10  
2 trucks arriving between the hour of 7:00 and  
3 8:00 a.m. each day to the rail loadout  
4 facility; is that correct?

5 MR. BABIC: That is correct.

6 PANEL MEMBER DRESCHER: And  
7 did I understand it correctly that if there is  
8 no other concentrated, it's just those 10  
9 trucks. Like your worst-case scenario is 30  
10 trucks.

11 MR. BABIC: Yes. So on the  
12 rail loadout facility itself we've accounted  
13 for trucks on the site. Off the site we've  
14 accounted for the 10 trucks peak plus the 30  
15 trucks per day total.

16 PANEL MEMBER DRESCHER: Okay.  
17 And they are to be arriving between 7:00 and  
18 8:00 a.m. in the morning?

19 MR. BABIC: Yes, it's  
20 accounted for in the road impact. However, on  
21 the facility impact it doesn't matter about  
22 the time of day because we've done a complete  
23 worst-case impact of all sources happening.

24 PANEL MEMBER DRESCHER: I  
25 appreciate that. I'm getting at the road right

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 now.

2 MR. BABIC: Okay. The road.

3 Excellent. Thank you.

4 PANEL MEMBER DRESCHER: One of  
5 the concerns that MECP had raised was having  
6 these 10 trucks rumbling through town between  
7 high peak, relatively speaking, rush hour in  
8 Marathon. And the question that we have is,  
9 can that be mitigated in any way? Are there  
10 options for reducing that number in that  
11 specific time period?

12 MR. BABIC: Thank you very  
13 much for that clarification that we're talking  
14 about the road impact at the hour, not the  
15 facility itself. I think that's a good  
16 clarification for everyone.

17 I'll briefly caucus and come  
18 back.

19 PANEL MEMBER DRESCHER: Thank  
20 you.

21 MR. BABIC: Thank you.

22 So we did model, and again a  
23 predictive modelling scenario of 10 trucks  
24 within that hour; however, we understand that  
25 is not going to be the typical operating

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 condition. Likely it would be throughout the  
2 entire period, but we've confirmed with  
3 Generation PGM that it's not the every day  
4 operating case. We have accounted for that on  
5 a worst-case basis for the road traffic noise.

6 PANEL MEMBER DRESCHER: Right.  
7 So are there any suggested mitigative  
8 measures? If it's likely going to occur, which  
9 I just heard you say, but it may not occur,  
10 what is the actual mitigation that is being  
11 proposed?

12 MR. BABIC: Thank you. I'll  
13 turn it over to Mr. Dart to talk about some  
14 operational considerations.

15 PANEL MEMBER DRESCHER: Thank  
16 you. Mr. Dart.

17 MR. DART: Thank you, Ms.  
18 Drescher for the question. Jeremy Dart for the  
19 record.

20 Yes, as Frank stated, the  
21 modelling was one instance. Based on  
22 operational aspect of moving concentrate from  
23 the project site to the rail out facility,  
24 that would likely be done spread throughout  
25 the day as the rail loadout facility will

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 likely only be operating during the daylight  
2 or daytime conditions say from 7:00 a.m. to 5  
3 p.m. So it's most likely that trucks will be  
4 spread out throughout that eight or ten-hour  
5 operating window and that would be in  
6 consideration of trucks being loaded at that  
7 project site and moved across to the rail  
8 loadout facility.

9                                 So yeah, that would be over  
10 mitigations rather than stating -- than based  
11 on the model that we had 10 trucks moving in  
12 that one-hour period between 7:00 and 8:00 the  
13 operational face will likely show that trucks  
14 can be moved between 7:00 a.m. and say 5:00  
15 p.m. when the rail loadout facility is  
16 operating.

17                                 So that would be one of our  
18 mitigations. If there are concerns that are  
19 brought up from community members or the panel  
20 regarding traffic with respect to the busy  
21 periods in town, we could definitely look at  
22 mitigating truck movement to alleviate some of  
23 those concerns.

24                                 PANEL MEMBER DRESCHER: Great.  
25 Thanks very much, Mr. Dart. I would like to

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 just quickly ask a question of MECP, please.

2 Hi, Mr. Smith. Based on the  
3 discussion that we just had about the rail  
4 loadout facility and the management of truck  
5 delivery and the actual operation within the  
6 facility itself, do you have any further  
7 concerns with the proposal and would you  
8 recommend any further mitigative measures.

9 MR. SMITH: Yes. I have one  
10 concern. If the project trucks are going to  
11 increase from 30 to 40 per day will there be  
12 an increase in the number of required rail  
13 cars from three to four per day at the rail  
14 loadout facility?

15 PANEL MEMBER DRESCHER: Okay.  
16 That is a worst-case scenario is what you are  
17 referring to?

18 MR. SMITH: Yes, because I  
19 understand from an earlier discussion that  
20 there would be more trucks per day, 40 per  
21 day? Would that necessarily mean more rail  
22 cars are necessary?

23 PANEL MEMBER DRESCHER: So  
24 let's just work with that for a second as  
25 opposed to going back and forth here. Just to

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 understand, what is the concern and what  
2 mitigative measures would you recommend in  
3 that particular case.

4 MR. SMITH: The concern is if  
5 there is more rail cars then there's more  
6 coupling impulses, and we're getting close to  
7 the sound level limit for impulse of sound for  
8 the worst case hour based on modelling of the  
9 addendum.

10 PANEL MEMBER DRESCHER: Right,  
11 okay, I appreciate that. So if there is a cap  
12 set on the noise criteria they would have to  
13 comply with that.

14 MR. SMITH: Yes.

15 PANEL MEMBER DRESCHER: Thanks  
16 very much. Just to clarify and just so that we  
17 can have it on the record, Mr. Babic, would  
18 there be more rail cars with 40 trucks?

19 MR. BABIC: Thank you, and I  
20 will briefly caucus to confirm that.

21 Frank Babic for the record.  
22 We confirm that with the additional -- going  
23 from 30 to 40 cars would require additional  
24 rail cars and therefore the concern from the  
25 Ministry being more coupling, however, the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 operations of the rail loadout could  
2 accommodate storage and operation such that  
3 multiple rail cars don't occur within the same  
4 hour, and that can be spread out thus we would  
5 still meet the maximum three coupling events  
6 per hour. It could be accommodated.

7 PANEL MEMBER DRESCHER: Thank  
8 you very much for the clarification. Just  
9 moving on, if we could. I freely admit to  
10 being confused again.

11 At one point we were talking  
12 today, and I believe I heard you say that  
13 shunting is not considered part of the  
14 operation of the rail loadout facility.

15 MR. BABIC: That is correct.

16 PANEL MEMBER DRESCHER: Okay.  
17 CIAR 727, chapter 8, PDF page 14 there are  
18 some mitigative measures that refer to  
19 shunting. I guess I just want to have absolute  
20 clarity that there is no shunting anticipated  
21 -- expected.

22 MR. BABIC: Well, we provide a  
23 response in IR-68 that says there is no  
24 shunting at the RLO.

25 PANEL MEMBER DRESCHER: Okay.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 So that negates what is in chapter 8, the  
2 commitments in chapter 8 then.

3 MR. BABIC: If you don't mind  
4 I'll take a brief review of that for clarity.

5 PANEL MEMBER DRESCHER: Thank  
6 you.

7 MR. BABIC: Frank Babic for  
8 the record. So thank you for bringing that to  
9 our attention.

10 There's definitely a  
11 miscommunication in the document. We've  
12 confirmed that there is no shunting, it would  
13 be coupling. And that document table 81 should  
14 be referring to coupling, low impact coupling,  
15 and that should be the correct terminology  
16 there.

17 PANEL MEMBER DRESCHER: Thank  
18 you very much for that clarification. That's  
19 helpful. The next question that I have is with  
20 respect to a berm. The reference to the berm  
21 appears twice, at least from what we can see.  
22 So in the noise effects assessment, GenPGM  
23 indicated that the process solids management  
24 facility construction activities increased and  
25 were also considered during operational phases

1 and mitigated by to account for increasing the  
2 berm heights. So this is CIAR 727, appendix  
3 D2, PDF page 19. And then a perimeter berm to  
4 limit public access to the open pits was  
5 mentioned in the human health risk assessment,  
6 which again is 727, this time appendix D10,  
7 PDF page 94.

8                               Is the berm you mentioned in  
9 the noise assessment the same perimeter berm  
10 to limit public access to the open pits? We're  
11 just trying to understand where that berms are  
12 located.

13                               MR. BABIC: Thank you, and  
14 I'll just take a moment to caucus to confirm  
15 how they were addressed in the modelling:

16                               Frank Babic for the record.  
17 To confirm, the perimeter berm and pit berms  
18 are not the same berm.

19                               PANEL MEMBER DRESCHER: Thanks  
20 very much. So if we talk about the pit berm,  
21 could you explain what the effect of having  
22 that berm in place will have on noise  
23 attenuation.

24                               MR. BABIC: So for that we  
25 understand it to be a fence, and we didn't

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 want to count specific mitigation attenuation  
2 with that as part of the analysis.

3 PANEL MEMBER DRESCHER: Thanks  
4 again for the clarification. Very helpful.

5 So one more thing about  
6 trucks, and specifically equipment. Backup  
7 alarm technologies. We haven't actually  
8 touched on that yet.

9 So could you explain what the  
10 options are for alternative backup alarm  
11 technologies and what operational  
12 considerations would be necessary in  
13 determining the need for backup alarms.

14 MR. BABIC: So with respect to  
15 backup alarms, those are used on various  
16 equipment for construction and operations.  
17 Whenever we have a piece of equipment that is  
18 backing up, and consider bulldozers, trucks,  
19 for example, forklifts, and they are used for  
20 safety purposes.

21 As a result, they are  
22 typically exempt from the noise impacts as --  
23 because of that aspect. It's the combination  
24 of annoyance versus safety. So there's typical  
25 beep beep that we normally hear, but there are

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 alternative technologies. There are broadband  
2 noise alarms available which have more of a  
3 whooshing type noise versus that beeping. They  
4 are also ambient-adjusted which change based  
5 on the background level. If it gets quieter  
6 they get quieter; if it gets louder they get  
7 louder. So there are various technologies  
8 available for backup alarms.

9                   PANEL MEMBER DRESCHER: This  
10 is a concern raised by MECP about the backup  
11 alarms and exploring the opportunity for  
12 changing to different technologies. Would you,  
13 GenPGM, be willing to install them for all  
14 mobile heavy machinery as MECP recommends?

15                   MR. BABIC: Thank you. I'll  
16 just take a moment to caucus with Generation  
17 PGM on that.

18                   PANEL MEMBER DRESCHER: Thank  
19 you.

20                   MR. BABIC: Pass it on to Mr.  
21 Dart.

22                   MR. DART: Thank you for the  
23 question. Jeremy Dart for the record.

24                   I can confirm that GenPGM  
25 will consider the use of ambient-adjusted

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 backup monitoring based on balance of the  
2 health and safety considerations and noise  
3 considerations.

4 PANEL MEMBER DRESCHER: Thank  
5 you very much. I have a question with respect  
6 to monitoring which, Mr. Babic, if you would  
7 like to field it or perhaps pass it on.

8 So up until now we've heard  
9 quite a lot of discussion regarding the  
10 engagement plan and what it would entail and I  
11 anticipate that there will probably be more  
12 discussion on that during the community  
13 session. But this one is specific to  
14 monitoring. And what we have so far is an  
15 indication from GenPGM that only blasting  
16 activities will be monitored, no other  
17 activities will necessarily be monitored.

18 So there's a two-part  
19 question. One is would other activities be  
20 considered in a monitoring plan and what would  
21 they be. And the second question is with  
22 respect to blasting activity monitoring  
23 specifically, it has been indicated that  
24 monitoring would occur only if it's within  
25 1,000 metres of the actual blast itself.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                               However, we had some  
2 discussion back and forth with respect to the  
3 Bamoos Lake and Pic River, and both of those  
4 are outside of that 1,000-metre setback  
5 distance. We would just like to have  
6 clarification if the company would be prepared  
7 to monitor for those locations for the reasons  
8 that we had already discussed.

9                               MR. BABIC: Yes, thank you,  
10 and I'll just take a moment to caucus.

11                              PANEL MEMBER DRESCHER: Thank  
12 you.

13                              MR. BABIC: Thanks for the  
14 question again.

15                              MR. DART: This is Jeremy Dart  
16 for the record.

17                              GenPGM has committed an IR  
18 response 3-3 to conduct additional ambient  
19 monitoring. At this time those programs will  
20 be developed as we advance through the project  
21 phase in consideration of community  
22 consultation, Indigenous consultation and  
23 regulatory consultation to determine the scope  
24 of the ambient program.

25                              PANEL MEMBER DRESCHER: Okay,

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 thank you. Does that also include monitoring  
2 at Bamooos and Pic River?

3 MR. DART: Thank you for the  
4 question again, Panel Member Drescher.

5 At this time we want to  
6 acknowledge that we -- there are no  
7 exceedances with respect to Bamooos and then  
8 the Pic River. However, we would consider some  
9 additional monitoring at those locations.

10 PANEL MEMBER DRESCHER: Thank  
11 you very much.

12 Madam Chair, that's the  
13 conclusion of the questions. Thank you.

14 PANEL CHAIR: Thank you, Ms.  
15 Drescher. Can we take just five minutes for  
16 panel caucus just to sort through the rest of  
17 the afternoon, given the hour.

18 We'll come back here at --  
19 actually give us till 4:25, please. Thank you.

20 --- Recess taken at 4:16 p.m.

21 --- Upon resuming at 4:21 p.m.

22 PANEL CHAIR: Welcome back,  
23 everyone. Thank you for the opportunity to  
24 caucus.

25 I just wanted to give you an

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 idea of what we would like to do with respect  
2 to scheduling.

3                               Before I get to that, we did  
4 have the question earlier in the day from  
5 Ministry of Environment, Conservation and  
6 Parks to Generation PGM requesting some  
7 clarification on a table, and while we did  
8 hear some clarification, it was explained that  
9 this was an example and that there were other  
10 potentially other examples, if I have that  
11 right.

12                               So what I am going to suggest  
13 is if the Ministry of Environment,  
14 Conservation and Parks would work directly  
15 with Generation PGM and come back to the panel  
16 with clarity with respect to the questions  
17 that MECP does have and any proposed  
18 resolution with respect to additional  
19 information that may need to come to the panel  
20 to respond to that.

21                               So thought was rather than  
22 trying to do this here in the hearing, it  
23 might be a little bit easier for you folks to  
24 work together, and then we thought a day or  
25 two. But again I don't really know the extent

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 of what questions MECP may have.

2 So I would request that you  
3 two work together. Do we still have MECP on  
4 the line? I just want to make sure.

5 MR. QIU: Yes.

6 PANEL CHAIR: So if you're  
7 okay to work with Generation PGM on clarifying  
8 any remaining questions, and then you can let  
9 us know at some point tomorrow how much time  
10 that would take for again either clarity or a  
11 proposed resolution on that. Does that work  
12 for both parties?

13 MR. ANWYLL: I think that's a  
14 very pragmatic solution and -- Mr. Guowang  
15 Qiu, if you can help us, if you do have those  
16 written questions all ready we can tackle  
17 that, but if it's on a phone call to figure  
18 those out we can certainly arrange for that as  
19 well.

20 MR. QIU: Yeah, I think  
21 probably is better to do a phone call instead  
22 of for writing e-mail back and forth.

23 PANEL CHAIR: Thank you.

24 MR. ANWYLL: Thank you very  
25 much, Panel Chair.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   So just again we appreciate  
2 everyone's flexibility today, and you did hear  
3 we've got some participants that were  
4 scheduled for today we are looking to  
5 reschedule for tomorrow and appreciate  
6 everybody's flexibility.

7                   In order to do that our focus  
8 tomorrow will be on socioeconomic effects,  
9 land and resource use, and proceeding into  
10 then to the remaining human health topics. We  
11 will have a number of presenters tomorrow and  
12 of course questions from presenters and the  
13 panel, and in order to be perhaps more  
14 efficient, we wondered if Generation PGM would  
15 like to proceed with their presentation  
16 originally scheduled for earlier in the day on  
17 the socioeconomic effects, land and resource  
18 use. I wonder if that would be possible if you  
19 wouldn't object to doing that presentation so  
20 we're prepared for tomorrow.

21                   MR. BARRETTO: Madam Chair,  
22 Jeremy Barretto for the record. I will just  
23 check for one minute and come back, but I  
24 believe that's a good proposal.

25                   Thank you, Madam Chair, we

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 just did a roll call and all our witnesses are  
2 in place for the socioec presentation and are  
3 prepared to proceed. Thank you.

4 PANEL CHAIR: That's  
5 wonderful. Really appreciated. Thank you very  
6 much. And we'll turn over the floor to you.  
7 Thank you.

8 MR. ANWYLL: Excellent. Thank  
9 you very much.

10 Can we go to I think it's  
11 slide 3 for the title. So I think we know what  
12 we'll be reviewing. Next slide, please.

13 And these are the folks that  
14 will be doing the presentation for this  
15 afternoon. Frank Bohlken from Stantec,  
16 economics and employment; Hilary Janes, who is  
17 the lead on socio-economics; Christine Walsh;  
18 and Colin Varley. And we can go to slide 10  
19 now. I think I'm handing over to Frank.

20 PRESENTATION BY FRANK BOHLKEN:

21 MR. BOHLKEN: Thank you, Drew.  
22 So I'll be presenting on employment and  
23 economy.

24 This first slide shows the  
25 regional and local study area which are the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 same areas for employment and economy. The  
2 area is encompassed by the green dashed  
3 circle, and it's an area around 100 kilometres  
4 from Marathon, which is really capturing those  
5 communities that are within approximately  
6 commuting distance because on the assumption  
7 that people that would be commuting would be  
8 considered local for purposes of hiring and so  
9 forth, people from outside of this area would  
10 be unlocal and would, for example, may need to  
11 reside at a project and workforce camp as  
12 opposed to the local resident community into  
13 the project.

14                                   So this is some of the  
15 information that's in the baseline report.  
16 With respect to people living within this  
17 regional study area, about 9,400 people,  
18 unsurprisingly approximately half female,  
19 including just over 1,850 people of Indigenous  
20 -- that should be 19.8 percent in terms of  
21 percentage of the total population, not 9.8  
22 percent. The labour force, which is the people  
23 that are either employed or unemployed and  
24 looking for work, is a participation rate  
25 about just under 60 percent.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   In this area mining is a  
2 large feature of the economy, so looking at  
3 the labour force, this is the national  
4 occupation classification used by Statistics  
5 Canada, mining, quarrying, and oil and gas are  
6 the largest employers in this region.

7                   There is no oil and gas  
8 activity that we're aware of so really it's  
9 the mining industry is actually the single  
10 largest source of employment in this area.  
11 Most of the workforce are living within the  
12 region; approximately 70 percent are living  
13 within the region.

14                   We just have some note here  
15 on the Barrick's Hemlo mine, which has  
16 transitioned or is transitioning from a  
17 underground -- sorry, from aboveground to an  
18 underground with a contract labour force which  
19 would result in a reduction of the workforce  
20 needed at that project by about half. This  
21 information was used to inform our assessment  
22 in terms of available workforce that could be  
23 working on the Generation project.

24                   Next slide, please.

25                   So for the assessment of

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 employment and economy we are looking at what  
2 are the impacts -- economic impacts, rather,  
3 related to the project expenditure and  
4 investment in the region, and more generally  
5 in Ontario and indeed in Canada as well as  
6 direct hiring. This is done using the  
7 multipliers generated from Statistics Canada's  
8 interprovincial input-output model.

9                   And we did this for the three  
10 phases of the project construction operation  
11 and decommissioning. We also did the modelling  
12 for sustaining capital investment which is  
13 investment that's undertaken after the initial  
14 capital expenditure to -- for additional  
15 equipment, for maintenance and so forth.

16                   So we look at three broad  
17 areas of economic impact. One is on employment  
18 and labour income related to again the  
19 investment activities. The other one is  
20 government revenue and this is done at the  
21 federal, provincial and municipal levels. In  
22 the government revenue assessment we looked at  
23 things such as corporate income taxes, taxes  
24 associated with purchase of equipment and  
25 products and so forth, sales taxes, as well as

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 similar income taxes on project-related  
2 employment, as well as we considered mining  
3 duties, as well as at a municipal level it  
4 would be local and school taxes. We also look  
5 at the impact on gross domestic product which  
6 is really the value added created by project.

7                   We do this -- the modelling  
8 provides information on the direct, indirect  
9 and induced impacts. So the direct impacts are  
10 basically from like the purchase itself or  
11 direct hiring. So these would be, for example,  
12 people working directly for the project.  
13 Indirect would mean suppliers or vendors who  
14 are, say, one step removed from those direct  
15 vendors to the project, so if, say, suppliers  
16 to an equipment manufacturer of raw materials  
17 and going into a final product that is --  
18 actually used by the project.

19                   What we mean by induced, this  
20 refers to household spending that is  
21 associated with the direct and induced --  
22 direct and indirect workforce. So again people  
23 that are earning money related to the project,  
24 then they go out into the community, they  
25 spend it on groceries, cars, entertainment and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 so forth, and that also has an economic  
2 impact. So that's what we're talking about --  
3 that's what we mean when we talk about induced  
4 impacts.

5                               Next slide, please.

6                               So this is an outline of some  
7 of the mitigation and enhancement measures  
8 related to the project. So to the extent that  
9 is practical we would be recruiting people  
10 from within the regional area to work on the  
11 project, and as well as contracting  
12 opportunities for local businesses again; so  
13 trying to retain investment within the  
14 communities.

15                              Training opportunities for  
16 people within the regional study area. Once  
17 the project is phasing out and there will be a  
18 need to help transition some of the workforce  
19 post-closure operations, again that would be a  
20 strategy that would come further down the  
21 line.

22                              Some of the employment  
23 training programs that have been again broadly  
24 outlined in the EIS would be again focusing on  
25 those skill sets needed for the project, but

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 also trying to expand the participation of  
2 underrepresented -- so populations including  
3 women and Indigenous people within the  
4 project's labour force.

5                               Generation is working  
6 specifically with Indigenous groups to help  
7 enhance employment and economic participation,  
8 and then working with regional institutions  
9 and training organizations to facilitate that  
10 training that would be part of the program.

11                               Next slide, please.

12                               So this is an outline of some  
13 of the benefits. Again the quantitative work  
14 here was -- as a result of this economic  
15 impact assessment was done direct investment  
16 in the project would create approximately  
17 3,900 jobs in Ontario and 5,000 in Canada. So  
18 this is direct, indirect, and induced impacts.  
19 During the construction phase with an  
20 additional 3,600 approximately full-time  
21 equivalents of employment during sustaining  
22 capital expenditure and just under 4,500 in  
23 Canada.

24                               So again approximately 80  
25 percent of the economic benefits we are seeing

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 overall from the modelling would occur in  
2 Ontario.

3                                   Operations. More of the  
4 benefits are going to occur in Ontario because  
5 the project is sited in Ontario and that's  
6 where obviously a lot -- most of the benefit  
7 is going to occur. So approximately 1,170 or  
8 so full-time equivalents of employment  
9 occurring during operations each year. So  
10 that's on an annual basis. And closure would  
11 be just over 330 full-time equivalents of  
12 employment.

13                                   As that is translated into  
14 labour income, we're just seeing -- I don't  
15 think I need to read through all the lines  
16 this time, but as we're seeing here, there  
17 would be hundreds of millions of dollars in  
18 terms of labour income associated with the  
19 project occurring in Canada and in more  
20 specifically Ontario really through all phases  
21 of the project; less so in during the closure  
22 phase.

23                                   Next slide, please.

24                                   This is the projections  
25 related to gross domestic product and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 simulating sort general economic duties. So  
2 again gross domestic product is the value add  
3 related to project investment. Again, in the  
4 construction phase over approximately 780  
5 million Canada-wide of which over 600 million  
6 created in Ontario. Additional capital  
7 investment during the operation phase would  
8 result in an estimated 400 million in Canada;  
9 just over 300 million in Ontario.

10                                   Annually during operations,  
11 approximately 190 million additional GDP  
12 occurring in Ontario.

13                                   Needless to say this  
14 investment is new money coming into the  
15 economy so that's why it's considered as an  
16 economic impact. This is money coming in, so  
17 without the project these types of benefits  
18 will not occur.

19                                   Next slide, please.

20                                   So we also look at -- or the  
21 model, rather, looks at government revenue. So  
22 as I mentioned earlier, there is government  
23 revenue associated with personal and corporate  
24 taxes, consumption taxes like sales tax,  
25 mining duties and property taxes, and this is

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 just an overview of some of the figures that  
2 have been reported in the EIS with respect to  
3 the magnitude of government revenue that would  
4 be associated with the project.

5 I believe that is it for my  
6 review of the economic section. So I'm going  
7 pass back to -- I think over to Hilary who is  
8 going to talk about infrastructure and  
9 services. Thank you.

10 PRESENTATION BY HILARY JANES:

11 MS. JANES: Thank you, Frank.  
12 It's Hilary Janes for the record. Can I get  
13 the next slide, please.

14 And next slide, please.

15 So I will be presenting  
16 infrastructure and services. This first slide  
17 shows the study areas for that value of the  
18 component, very similar to the one you just  
19 saw for economy and employment. The LSA and  
20 RSA for infrastructure and services includes  
21 those communities that are most likely to  
22 experience effects as a result of the project;  
23 includes those communities that are most  
24 likely to house the project labour force and  
25 supply infrastructure and services to the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 project.

2                               So the LSA includes the area  
3 immediately surrounding the project and the  
4 town of Marathon and BN First Nation, and the  
5 RSN includes the RSA and those communities  
6 that are about within 100-kilometre travel  
7 distance of the project. So Terrace Bay,  
8 Manitouwadge, Schreiber, White River, Pic,  
9 Mobert, and Pays Plat First Nation.

10                              Next slide, please.

11                              So this is some highlights  
12 from the baseline section for infrastructure  
13 and services, and just for context, to update  
14 the baseline information for the addendum we  
15 revisited the original baseline sources,  
16 investigated some new sources and asked  
17 questions from the Town of Marathon and from  
18 BN First Nation. And so these are some of the  
19 main points from our existing conditions.

20                              So we've got a low vacancy  
21 rate for rental and permanent accommodations  
22 in Marathon but we know that Marathon has  
23 plans to expand its supply of housing. BN has  
24 a wait list for on reserve housing and they  
25 have limited serviceable land to build new

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 homes.

2                                   There are several police  
3 detachments in the RSA; however, there was an  
4 increase in the crime severity index between  
5 2014 and 2018. Most utilities in the RSA have  
6 spare capacity; for instance, the landfill was  
7 built fairly recently and was designed with a  
8 100-year lifespan.

9                                   However, BN have challenges  
10 with their water infrastructure and often have  
11 to issue boil water advisories because the  
12 water treatment system is operating beyond its  
13 lifespan and requires upgrades. The supply of  
14 physicians in the RSA is generally good and BN  
15 reopened a renovated health centre in 2018  
16 with a new mental health crisis team which has  
17 improved their capacity to provide health  
18 care.

19                                   Schools in the RSA generally  
20 have spare capacity with the exception of Pic  
21 River elementary which is operating beyond  
22 capacity and requires upgrades or replacement.  
23 And another issue is recruiting teachers to  
24 the community. That's been a challenge.

25                                   And results of the updated

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 traffic baseline report indicate that the road  
2 network has the capacity to accommodate  
3 additional vehicles.

4                               Next slide, please.

5                               So the effects on  
6 infrastructure and services are qualitatively  
7 and quantitatively assessed by comparing  
8 anticipated project demand with existing  
9 capacity. For example, some of our measurable  
10 parameters are quantitative, doctors per  
11 100,000 population and the capacity of water  
12 and waste systems, whereas some anecdotal or  
13 descriptive information on some concerns and  
14 challenges in the community is more  
15 qualitative.

16                              The effects on infrastructure  
17 and services result primarily from a temporary  
18 increase in the population of the LSA which  
19 creates additional demand on housing and other  
20 local services and infrastructure.

21                              In general the town of  
22 Marathon has capacity to absorb these  
23 additional demands, but BN, as outlined on the  
24 previous slide, does have some deficiencies in  
25 terms of infrastructure and services.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                                   Although we didn't  
2 characterize positive effects in the addendum,  
3 there is potential for investment in  
4 infrastructure and services as result of the  
5 project, and where this creates additional  
6 capacity this can be beneficial to residents  
7 of the LSA and RSA.

8                                   We did look at how the  
9 project could disproportionately affect  
10 vulnerable populations, and these include  
11 members of low income households, women,  
12 particularly Indigenous women, and youth.  
13 There is potential for these groups to  
14 experience disproportionate effects when it  
15 comes to accessing infrastructure and services  
16 and achieving the benefits of project  
17 employment, however, with the use of project  
18 mitigation and enhancement measures, these  
19 effects are not anticipated.

20                                   Next slide, please.

21                                   So during construction the  
22 project will require an average workforce of  
23 360 and a peak workforce of approximately 870.  
24 During operation the average workforce of 430  
25 will be required, although it is expected that

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 80 to 90 percent of those workers will come  
2 from the RSA, So where will they live.

3 The slide shows you some  
4 features of the proposed accommodation  
5 strategy. Generation PGM will provide housing  
6 for workers at an accommodations complex which  
7 will house up to that 180 people and there is  
8 an existing construction camp that would be  
9 available as well.

10 We have considered a  
11 worst-case scenario where 100 percent of the  
12 pre-construction workforce and 50 percent of  
13 the operation workforce would require housing.  
14 The existing work camp can accommodate up to  
15 700 people in addition to the accommodations  
16 complex which will house 180, so that would be  
17 sufficient to house the peak construction  
18 labour force.

19 Project workers will not  
20 likely move families to the RSA for short term  
21 construction work, but they may choose to  
22 bring families during operation. Considering  
23 the expectation that up to 90 percent of the  
24 operation labour force will be local, the  
25 non-local labour force requiring accommodation

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 will be likely less than 100 people. We know  
2 that other communities in the RSA have  
3 capacity to accommodate some families and the  
4 Town of Marathon has plans to increase housing  
5 stock, as we mentioned previously.

6                               We know that the presence of  
7 a work camp associated with resource projects  
8 can be a concern for some residents regarding  
9 the safety of women in the RSA, particularly  
10 the safety of Indigenous women. GenPGM will  
11 provide security services at the  
12 accommodations complex and at the project site  
13 and all workers must abide by a code of  
14 construct. In addition, the socioeconomic  
15 monitoring plan will help GenPGM monitor any  
16 effects on safety.

17                               Next slide, please.

18                               So key mitigation and  
19 enhancement measures. As we discussed, the  
20 main mitigation measure for infrastructure and  
21 services is the accommodations complex. GenPGM  
22 also implements a number of other measures to  
23 enhance local employment including training  
24 programs for members of Indigenous groups.  
25 Cultural sensitivity training will be provided

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 to all employees, and health and emergency  
2 services will be provided on site to further  
3 reduce effects on health, safety, and  
4 emergency infrastructure and services.

5                   There will be management  
6 plans including those for traffic and waste  
7 that will be implemented to reduce effects,  
8 traffic and waste obviously, and GenPGM will  
9 continue to communicate with municipal  
10 authorities throughout the RSA to provide  
11 information about project requirements.

12                   In addition to the  
13 project-specific mitigation and enhancement  
14 measures, GenPGM will support BN in its  
15 efforts to have infrastructure and services  
16 concerns addressed by the Crown.

17                   I think that might be it for  
18 infrastructure and services. So next slide,  
19 please. And I'll pass this over to Christine  
20 Walsh. Thank you.

21 PRESENTATION BY CHRISTINE WALSH:

22                   MS. WALSH: Thank you.  
23 Christine Walsh for the record.

24                   The assessment of land and  
25 resource use considers activities and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 infrastructures related to the use of land and  
2 its resources and this includes designated  
3 land use such as protected areas, communities,  
4 and Crown lands, resource use such as hunting,  
5 trapping, fishing and forestry, and  
6 recreational use such as hiking, fishing, and  
7 snowmobiling.

8                               Next slide, please. I will  
9 start by providing a short overview of the  
10 current land and resource use conditions.

11                              So the LSA, illustrated there  
12 by the purple outline, is located on Crown  
13 land and is in an area designated for  
14 permitted uses related to natural resources.  
15 There are no parks or protected areas within  
16 the SSA and it is located in wildlife  
17 management units 21A and 21B with hunting  
18 permitted for moose, whitetail deer, black  
19 bears, small game and fur-bearing animals. And  
20 while there is no hunting outfitters  
21 established in the Town of Marathon, there are  
22 several that serve the broader region.

23                              There are two trap lines  
24 within the area and there is informal  
25 recreational tourism use in the area including

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 fishing, swimming, boating, canoeing, biking,  
2 picnic-ing, birding, snowmobiling,  
3 cross-country skiing and snowshoeing.

4 Next slide, please.

5 The assessment of land and  
6 resource use primarily relied on spatial  
7 analysis to quantify the extent of land and  
8 resource use areas available in the SSA, the  
9 LSA and the RSA. The assessment considered  
10 interactions between land and resource use and  
11 other value components and relied on the  
12 results of the other value components  
13 assessment.

14 For example, the effects of  
15 wildlife and fish species and habitats are  
16 important factors to consider for hunting and  
17 fishing activities. Similarly, sensory  
18 disturbances to land and resource uses rely on  
19 the results of air quality and noise  
20 assessments.

21 The changes to land and  
22 resource use were predicted to primarily occur  
23 through the loss of or restricted access to  
24 the SSA, sensory disturbances such as noise  
25 and dust from project activities, and the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 overall reduction to user experience from  
2 project presence.

3 Next slide, please.

4 Since the early 2000s access  
5 to the site has been controlled with the  
6 installation of a gate. This is shown in the  
7 yellow square with the X on the figure roughly  
8 4.5 kilometres north of Highway 17, which  
9 resulted in limited and restricted access to  
10 the SSA.

11 Limited and restricted access  
12 will be required throughout the life of the  
13 project to ensure the safety and security of  
14 those travelling through the site, employees  
15 and equipment. Access will be granted based on  
16 the activities being undertaken at the project  
17 site.

18 It is envisioned that limited  
19 and restricted access would be provided  
20 through the mine site from the guardhouse  
21 located at the end of the access road. This is  
22 shown as the yellow square with the black dot  
23 on the figure. The users will be guided  
24 through the site to one of the existing trails  
25 north of the SSA.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   Alternative access is  
2 available to lands within the LSA along an  
3 alternative travel corridor currently used  
4 between Hare Lake and Bamooos Lake. This is  
5 shown as the blue line on the figure.

6                   Next slide, please.

7                   As discussed, access for land  
8 and resource users will be restricted  
9 throughout the life of the mine to ensure the  
10 safety of users and workers. Land users will  
11 continue to be able to access land in the LSA  
12 and access along Camp 19 Road to the Pic River  
13 will be maintained.

14                   Alternative access is  
15 available along the Hare Lake and the guided  
16 access to the SSA can be provided. There is  
17 potential changes to harvesting success,  
18 however, it is expected that wildlife  
19 displaced from the SSA will seek similar  
20 suitable habitat in the surrounding areas of  
21 the LSA.

22                   Generation PGM will continue  
23 ongoing engagement with users regarding the  
24 overlap of the SSA with hunting, trapping, and  
25 fishing areas to discuss potential issues and

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 concerns. There will be a loss of local  
2 resource and recreational use within the SSA  
3 and sensory disturbances in the LSA. The  
4 project, however, is predicted to result in  
5 relatively small change on some levels to  
6 nearby lands owners and resource users and the  
7 sound pressure levels will be below regulatory  
8 thresholds. Desired land and resource end uses  
9 will be considered in the preparation of a  
10 closure plan.

11 Next slide, please.

12 As noted, Generation PGM will  
13 continue to engage with affected users  
14 throughout the life of the project including  
15 communicating project activities, locations  
16 and timing. Land and resource uses are  
17 anticipated to continue at or near current  
18 levels over the long term. Alternative land  
19 elsewhere in the LSA and the RSA is available  
20 for resource and recreational pursuits. Noise  
21 and dust effects to nearby users are  
22 anticipated to be below regulatory thresholds.

23 The project is compatible  
24 with established federal and provincial and  
25 municipal land use designations and policies

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 and bylaws.

2                               Next slide, please. And I'll  
3 pass it over to Colin Varley. Thank you.

4 PRESENTATION BY COLIN VARLEY:

5                               MR. VARLEY: Thanks,  
6 Christine. Thank you. Next slide, please.

7                               So as part of the assessment  
8 for the project cultural heritage landscapes  
9 were reviewed, carried out an evaluation of  
10 the potential built heritage resources and  
11 cultural heritage landscapes using the  
12 Ministry of Heritage, Sport, Tourism, and  
13 Culture Industries checklist.

14                              Part of the review was the  
15 review of current aerial photography of the  
16 site, desktop screening of historic records,  
17 data requests from local and provincial  
18 sources, and a review of online databases to  
19 determine the presence of previously  
20 identified heritage resources or cultural  
21 heritage landscapes.

22                              Requests for information were  
23 also distributed to Indigenous communities to  
24 identify any sites of cultural, spiritual, or  
25 traditional land use.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1                   There was no indication from  
2 any of the resources checked that there were  
3 any potential built heritage resources or  
4 cultural heritage landscapes present in the  
5 SSA, and this was same finding from a  
6 previously completed 2013 assessment that  
7 there would be no change to built heritage  
8 resources.

9                   Next slide, please.

10                   There had been two  
11 archeological assessments completed to date  
12 for the study area. In 2008 Woodland completed  
13 a stage 1 and 2 archaeological assessment of  
14 the SSA along the Pic River most notably and  
15 of the interior by helicopter. For the most  
16 part Pic River was identified as having steep  
17 and high slopes and not particularly navigable  
18 through the study area, but there were a few  
19 locations along the river that were identified  
20 as areas having archeological potential and  
21 those areas were surveyed with -- by test pit  
22 survey at two locations along the river.

23                   The visual review by the  
24 helicopter followed an overview of the -- all  
25 the interior and then specifically checked the

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 end of Bamooos Lake and a road -- proposed road  
2 location. The assessment of the interior was  
3 that there were no areas of archeological  
4 potential along the interior. There were some  
5 areas of archaeological potential identified  
6 along Bamooos Lake and they were recommended  
7 for further assessment should those areas be  
8 requirement for the project.

9                                   In 2009 an additional  
10 assessment was completed. It was a  
11 supplemental review of the Hare Lake and Hare  
12 Creek area due to a couple of project changes  
13 and the potential for water levels to rise in  
14 Hare Lake. There were five locations  
15 identified on Hare lake as having  
16 archeological potential. There was one site  
17 identified on the surface at one of those  
18 locations during the overview.

19                                   There's potential disturbance  
20 to one of those locations of archeological  
21 potential from a discharge pipe to Hare Lake  
22 and a stage 2 assessment is proposed at that  
23 discharge location or a refinement of that  
24 location to avoid that area if possible.

25                                   There is no anticipation that

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 in fact Hare Lake water levels will rise so  
2 the other areas of potential identified will  
3 not be affected.

4 Next slide, please.

5 And I will pass this back to  
6 Hilary.

7 MS. JANES: Hilary Janes.

8 Thank you, Colin. It's Hilary  
9 Janes for the record. I will just summarize  
10 our presentation.

11 The majority of the feedback  
12 we've received has been supportive of the  
13 project and people generally recognize the  
14 benefits that it will bring to the area. It  
15 will create jobs during construction and  
16 operations. It will create spinoff employment  
17 from spending by project workers. The project  
18 will result in millions of dollars in  
19 government tax revenue and resource royalties.

20 Infrastructure and services  
21 in the RSA can accommodate the project.  
22 Majority of employment anticipated will be  
23 from individuals within the RSA. GenPGM will  
24 provide facilities that can accommodate  
25 workers from outside the RSA. Despite reduced

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 access to the mining area for safety, resource  
2 and recreational pursuits are expect to  
3 continue at or near current levels elsewhere  
4 in the area. Supplemental archeological  
5 assessment will follow MHSTCI standards. And  
6 with mitigation and management measures the  
7 project is not predicted to result in any  
8 significant adverse environmental effects on  
9 the socioeconomic environment.

10 So that concludes our  
11 presentation of the socioeconomic environment,  
12 archeological and cultural heritage. Thank  
13 you, Madam Chair, Member Drescher and Member  
14 Bruce, for the opportunity to present our  
15 results.

16 PANEL CHAIR: Thank you very  
17 much for all of your presentations this  
18 afternoon. Really appreciate you doing this at  
19 the end of day and sets us up nicely for  
20 tomorrow's presentations and questions that  
21 we'll have.

22 So I think we will conclude  
23 proceedings today. We will start again  
24 tomorrow with the Town of Marathon and the  
25 Ontario Ministry of Heritage, Sport, Tourism

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**

1 and Culture Industries to begin our day. We  
2 will have an updated hearing schedule as well  
3 but just thought I would at least give an  
4 indication of how we'll start the morning off.  
5 So once again thank you to everyone, all of  
6 the participants, presenters, those with  
7 questions today.

8                               Because we have this topic  
9 going over two days we have always asked for  
10 participants to remain for the entire topic  
11 period and we will do that again today. And we  
12 will see you here tomorrow at 9:00 a.m. Thank  
13 you.

14 --- Whereupon at 5:01 p.m. the proceedings  
15 were adjourned till Tuesday, March 29,  
16 2022, at 9:00 a.m.

---

*Arbitration Place*

**(613) 564-2727**

**(416) 861-8720**